

Page 1	Page 3
<p>1 Friday, 18 January 2019</p> <p>2 (9.34 am)</p> <p>3 DR MIKE GLOVER (on former oath)</p> <p>4 Cross-examination by MR CONNOR (continued)</p> <p>5 CHAIRMAN: Mr Connor, yes.</p> <p>6 MR CONNOR: Good morning, sir. Good morning, Professor.</p> <p>7 Good morning, Dr Glover. I have only a few</p> <p>8 questions for you this morning, and they are really</p> <p>9 questions with regard to the reports that you have</p> <p>10 issued, against the background of the evidence that you</p> <p>11 provided to the Commission yesterday.</p> <p>12 For reference and for the record, could we just have</p> <p>13 briefly on the screen your report ER/6. That is your</p> <p>14 report of January 2019. This is your report for the</p> <p>15 Commission.</p> <p>16 A. Yes, I have it.</p> <p>17 Q. Thank you very much. There's just a very quick dip into</p> <p>18 the report and I'll ask you some questions about it.</p> <p>19 So this is your report, Dr Glover, and for the sake</p> <p>20 of completeness, you will see on page 2, at</p> <p>21 paragraph 2.4, you refer to two earlier reports which</p> <p>22 you prepared and which are in the bundles. They are</p> <p>23 referred to at paragraph 2.4(a) and (b), and that is</p> <p>24 a report that's part of the holistic study, and that</p> <p>25 report is dated 9 November 2018 -- for the record, that</p>	<p>1 A. Mm-hmm.</p> <p>2 Q. Which is again for the record ER/6.1, in which you</p> <p>3 expand on a number of these points.</p> <p>4 A. Yes.</p> <p>5 Q. So if we take all of that evidence together, two areas</p> <p>6 I wish to ask you some questions about are firstly the</p> <p>7 EWL slab and secondly the NSL slab.</p> <p>8 A. Yes.</p> <p>9 Q. But the point is really quite brief I think for these</p> <p>10 purposes and it's more by way of confirmation of my</p> <p>11 understanding of your evidence and to ensure that that</p> <p>12 is shared with the Commission.</p> <p>13 As far as the EWL slab is concerned, you conclude in</p> <p>14 very broad terms, if you forgive the breadth of my</p> <p>15 language, that utilisation in the EWL slab as far as</p> <p>16 design and, from what one can tell, construction is</p> <p>17 concerned, is modest?</p> <p>18 A. Correct.</p> <p>19 Q. That it is, again very generally, no less than</p> <p>20 50 per cent across that part of the structure?</p> <p>21 A. Sorry, I didn't want to misunderstand what you said.</p> <p>22 Could you just repeat the numbers you used?</p> <p>23 Q. Yes. There is a range, I think, of percentages of</p> <p>24 utilisation, depending upon Arup calculations, Atkins</p> <p>25 calculations, and indeed those by others, but it is</p>
Page 2	Page 4
<p>1 is B19/B25114; and secondly, a report which is described</p> <p>2 as design spot-checks for diaphragm walls -- Plaxis</p> <p>3 analysis. That is also dated 2018 and is, again for the</p> <p>4 record, B20/B26004.</p> <p>5 Do you see those references?</p> <p>6 A. I do.</p> <p>7 Q. Thank you. So I need not take you further on that page</p> <p>8 at this stage.</p> <p>9 But one understands, I believe, from reading those</p> <p>10 reports, that is the November reports, Dr Glover, that</p> <p>11 substantially your position in relation to important</p> <p>12 issues such as the integrity of the structures under</p> <p>13 consideration by the Commission has not changed between</p> <p>14 November and January, that is November 2018 and January</p> <p>15 2019; is that so?</p> <p>16 A. I don't believe they have. I mean, if the words say</p> <p>17 otherwise, then they would be correct. But no, that's</p> <p>18 my view.</p> <p>19 Q. That is my understanding and I just wished to confirm</p> <p>20 that with you.</p> <p>21 I have two brief areas of interest just to raise</p> <p>22 with you.</p> <p>23 I should just mention for completeness, if one takes</p> <p>24 your evidence, one would also want to include reference</p> <p>25 to your PowerPoint presentation yesterday.</p>	<p>1 generally found to be no less than 50 per cent?</p> <p>2 A. No less, no, that's not correct.</p> <p>3 Q. Not correct?</p> <p>4 A. No. The general level, if you were to take sort of</p> <p>5 a norm, would be about -- would be less than 50,</p> <p>6 actually. But I say generally 50 with localised higher</p> <p>7 peaks.</p> <p>8 So I don't think that matches your words.</p> <p>9 Q. It doesn't, but having read your report again this</p> <p>10 morning, you correctly recall your own, so thank you for</p> <p>11 that.</p> <p>12 A. Okay, thank you.</p> <p>13 Q. You describe it as a robust design?</p> <p>14 A. Mm-hmm.</p> <p>15 Q. With a comfortable measure of redundancy?</p> <p>16 A. Correct. I think I go on further to say, to make sure</p> <p>17 that people understand what that means: there's</p> <p>18 a reserve of strength.</p> <p>19 Q. Indeed. And fundamentally that it is safe?</p> <p>20 A. Absolutely.</p> <p>21 Q. As far as the NSL slab is concerned, it's a similar</p> <p>22 picture, really, as far as your November report is</p> <p>23 concerned and indeed your January report, that again</p> <p>24 generally modest utilisation levels?</p> <p>25 A. Yes, most certainly, probably lower than the EWL, but</p>

Page 5

1 again you get peaks.
 2 Q. And fundamentally, in your view, the more you have
 3 looked at, safe?
 4 A. Correct.
 5 Q. The road that has taken us to that point, which you
 6 helped us with yesterday, in terms of the initial
 7 assessment of the requirements of the project, those
 8 topics that I described yesterday of the complexity, the
 9 position of the project, taking account of temporary
 10 conditions, taking account of safety, of course, and
 11 taking account of programme, have taken us to a point
 12 where all of those points seem to have been addressed,
 13 and we have fundamentally safe structures in place?
 14 A. Is that a question or --
 15 Q. Yes.
 16 A. Yes, I would agree with that.
 17 Q. Now, in your report, in January, that is ER/6 which you
 18 have in front of you --
 19 A. Yes.
 20 Q. -- and also in your PowerPoint which you spoke to
 21 yesterday in front of the Commission, you do go into the
 22 areas of the decisions that were made around design that
 23 has led us to the conclusions we just led, and you do
 24 touch upon certain issues as to engineering judgment?
 25 A. Correct.

Page 6

1 Q. And you do that in section 5 of your report, and
 2 indeed -- and that particularly with regard to the EWL
 3 slab -- and yesterday --
 4 CHAIRMAN: I'm sorry, Mr Connor -- I'm just wondering --
 5 I think I may have fallen behind the race somewhere,
 6 because I have never understood it to be suggested that
 7 the fundamental design was at fault. I've understood
 8 there to be concerns with the couplers. I've understood
 9 there to be concerns with the work that was done while
 10 in progress to cut down that portion of the diaphragm
 11 wall and put in through-bars. Refresh my memory: where
 12 is it said that Atkins' design fundamentally was at
 13 fault?
 14 MR CONNOR: It is not. You are absolutely right, sir.
 15 CHAIRMAN: Okay.
 16 MR CONNOR: What is touched upon -- and it is, in fairness,
 17 only touched upon -- in the report which was prepared
 18 for the Commission's purposes by Dr Glover, and that is
 19 section 5, if you would have regard to that for
 20 context --
 21 A. Yes.
 22 MR CONNOR: -- is a question and an observation that he
 23 makes in relation to the exercise of engineering
 24 judgment, and not to question that the product is safe,
 25 but to question whether or not, as we touched upon

Page 7

1 yesterday, there has been, in the preparation of that
 2 design, over-observance of the Codes of Practice, for
 3 example.
 4 I understand where you are coming from, sir. This
 5 is a brief point. It does not, I think, impact upon the
 6 issue that will necessarily concern you, but it is a
 7 point on which it is important that there is a level of
 8 clarity provided to what Dr Glover intends by that
 9 comment, and if I can have --
 10 CHAIRMAN: I may be wrong, and we will hear from Dr Glover
 11 very shortly, I'm sure, but I have never understood what
 12 he has said in any way whatsoever to be a criticism that
 13 the design should have been different. It was merely
 14 aspirational in the sense that Dr Glover, in his career,
 15 has looked to research cutting-edge design and the like,
 16 but he appreciates there is a different regime in
 17 Hong Kong which may constrain people like Atkins in the
 18 design of this kind to be what he considers perhaps,
 19 with his great experience, to be very conservative.
 20 That's not a criticism, that's merely a statement.
 21 But that conservatism is prudent. That seems to be
 22 what he underlines his remarks with. Am I wrong there?
 23 A. I think you have encapsulated it very well, actually,
 24 and I would say prudence is certainly the word to apply
 25 to the design.

Page 8

1 CHAIRMAN: I am only saying that in case there's
 2 a misunderstanding. I have never understood it,
 3 therefore, that he's trying to undermine the issue of
 4 design.
 5 MR CONNOR: Therefore, Mr Chairman put your finger entirely
 6 on the point that has interested me. Dr Glover has very
 7 helpfully, yesterday and now today, confirmed that view,
 8 and really where I was going to was a question very much
 9 along your lines, and it was singularly that.
 10 The comments and observations that, Dr Glover, you
 11 have made within your report of January, and indeed your
 12 PowerPoint yesterday, are all to be looked at in the
 13 context that the Chairman has just helpfully described,
 14 and your observations.
 15 A. I would agree with that.
 16 MR CONNOR: Thank you. With that, sir, that is helpful, and
 17 helpfully closes the area of interest for me and I have
 18 no further --
 19 CHAIRMAN: In fact, may I just add to this: Prof Hansford
 20 has just pointed to me the word or the phrase
 21 "substantially over-provided", the EWL slab. As
 22 circumstances now present themselves, that is
 23 an assurance, actually. It may not have been at the
 24 design stage, if you're having to pay for it, but at
 25 this stage it really is a comfort.

Page 9	Page 11
<p>1 COMMISSIONER HANSFORD: This, for the record, is the first 2 sentence of Dr Glover's 5.8. 3 MR CONNOR: Absolutely, and that point is well taken and 4 well understood and you are absolutely right in your 5 assessment that that is an assurance, sir, and if it is 6 allied with the assurance that that is the product of 7 a properly directed design in the context of Hong Kong 8 and its approval regime, then I'm very happy to leave it 9 there. 10 CHAIRMAN: Good. Thank you. 11 MR CONNOR: Thank you, sir. Thank you, Professor. And 12 thank you, Doctor. 13 Cross-examination by MR TO 14 MR TO: Chairman and Commissioner, I have taken instructions 15 from Prof Albert Yeung. 16 Good morning, Dr Glover. 17 A. Good morning. 18 Q. My name is Christopher To, I represent China Technology. 19 I just have a few questions to ask you, that's all. 20 The first question I want to ask you is, in terms of 21 research, you did mention, you did elaborate in terms of 22 your illustrious career in terms of this area. In terms 23 of postgraduate training, have you had any postgraduate 24 training whatsoever in research? 25 A. Forgive me, I don't understand why you are asking the</p>	<p>1 A. Yes. 2 Q. The functions of couplers in connecting steel reinforced 3 bars are totally different from connecting a bolt; do 4 you agree with that? 5 A. No, I don't agree with that, because what I was talking 6 about is threads and not necessarily nuts and bolts. 7 I was using nuts and bolts as an analogy. The 8 technology of threads is pretty universal, in fact very 9 universal. It's all a function of the pitch of the 10 thread -- I mean, you get -- width you get unified, and 11 they are all for different purposes. 12 But the basic design of threads is well understood 13 and they are not just singularly to do with a nut and 14 a bolt. And indeed, if you look at the whole range of 15 screwed connections and fixings, they all have the same 16 basic physics. They just look different and have 17 different applications. 18 So I don't see them as being different. Screwed 19 threads are screwed threads. 20 Q. Thank you for that. Do you agree with me, for example, 21 that the engagement length between a bolt and a nut is 22 always the length of a nut, regardless of how many 23 threads are on the bolt? 24 A. If you take nuts and bolts, purely, as you say, and if 25 you look up a product, a listing of the dimensions of</p>
Page 10	Page 12
<p>1 question. 2 Q. I'm asking the question because you did mention in the 3 presentation yesterday about research. 4 A. Yes, but the research I do is related to the projects 5 I do. I don't have to go to a university to do that. 6 I really don't know what the question is for. 7 Q. No problem. Do you have any postgraduate qualifications 8 in research? 9 A. No. I don't have any postgraduate -- 10 Q. That's all for me. 11 Yesterday, Dr Glover, you mentioned, for example, 12 the mechanical engineering applications in terms of 13 bolts. 14 CHAIRMAN: Sorry, I don't mean this badly and I don't want 15 to be combative, but by way of a hypothesis, that's 16 a little bit like, is it not, when a general returns 17 from a war which he has won very successfully, with 18 minimal casualties, to then be questioned as to whether 19 he actually went to Sandhurst. 20 MR TO: I apologise for asking that question but I've been 21 instructed to ask it. I hope you understand. 22 CHAIRMAN: All right. Yes. 23 MR TO: My next question is to do with the mechanical 24 engineering application. You mentioned yesterday about 25 the bolts; do you remember that?</p>	<p>1 one thing and another, traditionally the diameter of the 2 bolt is the same as the depth of the nut, and 3 traditionally that has always been the case. Does that 4 answer your question? 5 Q. That answers my question. 6 A. Good. 7 Q. The next question I want to ask you, Dr Glover -- 8 remember you talked about hypothesis. 9 A. I probably did, yes. 10 Q. Before going into sort of a testing and research 11 programme. Do you think it's important to have 12 a hypothesis before you actually go into the testing and 13 research area? 14 A. I think I explained -- I will repeat what I believe 15 I said and you can challenge it. I said if you are 16 embarking upon something, you start with a hypothesis, 17 an idea that something is going to work. So the first 18 thing you do is you think about that issue, and in 19 engineering you generally do a few calculations to see 20 whether it stands up. If it still is robust enough, you 21 actually do a mock-up, if it's a physical thing, or if 22 it's something you are trying to test for strength, you 23 do an embryonic test, not really too refined but you 24 think about it and you set it up and you see if it still 25 works.</p>

Page 13

1 If you've passed those hurdles, which is hypothesis,
 2 calculations, mock-up, prototype, you then move on to
 3 a formalised procedure whereby you can, in my terms,
 4 bring a full stop to the issue. It either works or it
 5 doesn't. And really the latter stage, you don't embark
 6 upon the more formal testing programme until you are
 7 pretty clear that you've got a hypothesis, you've got
 8 calculations and you've got a rough and ready
 9 understanding. I think in this case, when it comes to
 10 levels of engagement, if you look at the number of
 11 things that individuals have done collectively or
 12 singularly, it comes to a pretty convincing story, worth
 13 testing in terms of the formality of the research
 14 programme or closing it out with tests.
 15 Q. Yes. The reason I'm asking that question, Dr Glover, is
 16 because there were five tests done.
 17 A. Yes, but they would constitute -- you are referring to
 18 the BOSA test; yes?
 19 Q. Yes.
 20 A. But they come under my category of, "We've got a good
 21 idea, let's pull something apart, let's see whether it
 22 really does work." That I would not consider to be the
 23 full stop and never have.
 24 Q. I understand. And yesterday you mentioned about nine
 25 samples, so you talk about from five to nine samples.

Page 14

1 Where do you get your hypothesis in terms of nine
 2 samples? Why not 18 or 20 samples?
 3 A. I'm glad you asked that question. I thought I did deal
 4 with it yesterday but just in case I didn't.
 5 Nine samples in production engineering is the
 6 standard sampling technique from a batch, whether the
 7 batch is 500 or 1,000 or 2,000.
 8 CHAIRMAN: You did say that yesterday.
 9 A. Yes. Nine is the number that you use. I think in this
 10 case it's potentially overkill but believe me I want to
 11 see this finished. So that's nine samples, but that's
 12 nine samples of each engagement, not nine samples. So
 13 the details actually of the level of engagement that we
 14 will test, obviously that has to be fully confirmed, but
 15 most certainly it will be 60 per cent and most certainly
 16 it will be 100 per cent, and it will be nine samples of
 17 each, and we can see the trend line. As far as I'm
 18 concerned, that would be a full stop, and I will
 19 emphasise again that testing programme should not and
 20 will not, in my terms, include any cyclic loading
 21 because it's irrelevant to the case. But you will get
 22 nine samples of each of the engagements.
 23 MR TO: I will come back to cyclic loading in a few minutes.
 24 A. I thought you might. That's why I thought I would
 25 pre-empt it.

Page 15

1 Q. In terms of, for example -- you talked about the
 2 floating force acting at the bottom of --
 3 A. I'm sorry --
 4 Q. The floating force acting at the bottom of the NSL slab
 5 is approximately 150 kilopascals for 15 metres of
 6 underground --
 7 A. I see, yes. 15 metres of water for other people, yes.
 8 Q. And the self-weight of the NSL slab is approximately
 9 48 kilopascals?
 10 A. Yes, I'd agree with that.
 11 Q. Do you still agree that the bottom of the NSL slab is
 12 still under permanent compression?
 13 A. No, I didn't say that. What I said is quite the
 14 opposite. I said at the support the bottom of the NSL
 15 would be in tension and in the middle of the span,
 16 I agree with you, that would be in compression. But
 17 where it connects into the diaphragm wall, where
 18 everybody is concerned, or I thought you were concerned,
 19 that's in tension and that's where the couplers are.
 20 So how am I going to answer your question?
 21 Am I concerned? No, because you missed something else.
 22 And I do apologise, because you are reporting on behalf
 23 of someone else who wasn't here. I explained yesterday
 24 that the NSL slab, as you say, it doesn't equal the
 25 weight -- it doesn't counteract the hydrostatic uplift

Page 16

1 on its own. It has three support lines to hold it, to
 2 make sure that it is resisting it. You've got the two
 3 diaphragm walls, you've got the columns or walls between
 4 the EWL slab and the NSL slab. So as the slab tries to
 5 push up, it pushes against the greater weight of the EWL
 6 slab. And you've also got isolated barrettes sitting
 7 under the slab. So the NSL slab is supported very, very
 8 effectively.
 9 And so it's not just the slab itself in terms of its
 10 deadweight that's holding it down, it's also mobilising
 11 the very considerable weight of the EWL slab above.
 12 Does that help?
 13 Q. That helps. It moves on to a point I'm talking about
 14 box structures.
 15 A. Yes.
 16 Q. Box structures, you mentioned yesterday, survive very
 17 heavy ground movements?
 18 A. I'm sorry, I didn't catch that.
 19 Q. Box structures can survive very, very heavy ground
 20 movements?
 21 A. Yes, "strong ground motion" I think I used.
 22 Q. If you look very carefully, for example, the box
 23 structure is connected to two D-walls at the end, and
 24 barrettes, as you mentioned, at the middle. It is not
 25 only a box buried in the ground. When the box moves in

Page 17

1 the ground, what are the effects of the box movements on
 2 the connections between the box, the D-wall and the
 3 barrettes, do you think from your analogy yesterday?
 4 A. Well, the ground moves as a mass, so it's not, you
 5 know -- it's not -- it doesn't move differentially
 6 between one point and another unless you've got
 7 faulting, and Hong Kong is not going to have faulting,
 8 particularly in these materials. So the whole thing
 9 moves as one and that's why you've got connections
 10 between elements. So I really don't understand what the
 11 question is about because it's a monolithic whole, isn't
 12 it, so why is one part going to move differently from
 13 another? They are connected to each other.
 14 Q. Maybe I'll elaborate further. Yesterday Mr Southward
 15 mentioned about it was a superstructure.
 16 A. I don't want to get into this argument, I'm sorry. As
 17 far as I'm concerned -- I will confuse it even further.
 18 In my language, there's a superstructure, a substructure
 19 and a foundation. How does that go? Does that help
 20 you?
 21 Q. It does help me, but I just want to ask you this
 22 question: should a superstructure be above the ground?
 23 A. In my classification, I would say substructure must be
 24 sub, below the ground. Yes, I --
 25 Q. So the superstructure --

Page 18

1 A. I see three divisions, basically. You've got
 2 superstructure, let's not use "substructure" for a
 3 moment, let's say basement, and then you've got
 4 foundations that are holding it all up. So which one
 5 are you interested in?
 6 Q. I'm referring to the superstructure, the one above the
 7 ground.
 8 A. I think that's pretty clear, superstructure.
 9 Q. So basically you have a different take in terms of
 10 Mr Southward in terms of the structure?
 11 A. No, I said I wasn't going to get into that, because I've
 12 told you how I see the description. My description is
 13 what I would call engineering observation. It's not
 14 tied into codes or any definitions. I'm just -- I'm
 15 sorry if I'm not being helpful here. I'm not trying to
 16 be evasive or whatever. I really don't understand what
 17 it is you want me to answer.
 18 Q. No problem. I'll move on to when you talked about
 19 compliance with codes.
 20 Remember yesterday -- I won't take you to the
 21 transcript because I'll just read it out to you so you
 22 understand. It's on page 95. It says:
 23 "... fitness-for-purpose basis. I'm not seeking to
 24 demonstrate compliance. I'm just trying to demonstrate
 25 safety, on the basis of fundamental physics and

Page 19

1 experience."
 2 Do you remember saying that?
 3 A. Yes, I'm sure I did. It sounds right.
 4 Q. You mentioned yesterday about flag on the hill.
 5 A. Yes.
 6 Q. We started off with original design, in terms of this
 7 project, then subsequently it was changed. You
 8 mentioned about, for example, we do have to actually
 9 expect the unexpected, and you don't need to follow
 10 codes.
 11 A. No, I didn't say that. I didn't say you don't have to
 12 follow codes. What I said is you have to challenge
 13 codes, you have to see if they are appropriate and act
 14 accordingly. I didn't say -- you know, that's --
 15 Q. I apologise for that.
 16 A. Thank you.
 17 Q. So you said you want to challenge codes, that's what you
 18 said?
 19 A. Yes, I want to challenge them, if they're not correct or
 20 if they're not -- more often than not, the code is not
 21 incorrect, it's just inappropriate for the application.
 22 Q. So in terms of this project, were there any challenges
 23 towards the code?
 24 A. I wasn't there at the outset, but I believe the code has
 25 been complied with or attempts have been made to -- so

Page 20

1 I can't really answer your question because it would
 2 require me to have been there at the outset, because
 3 someone can challenge something but if that challenge is
 4 not taken up, then history -- it will be lost to
 5 history, and as far as the history is concerned, what
 6 has been built has been built, and I wasn't there at the
 7 outset, so I can't help you there.
 8 Q. But you are saying, for example, Dr Glover, that we
 9 should follow codes?
 10 A. I think you should -- yes, you've got to follow codes,
 11 but to the extent that they exist. But if they are
 12 clearly not appropriate for the application, then it's
 13 very important as an engineer that you bring attention
 14 to that. You do have the option of just following
 15 through, and this is why I used the word "unquestioning
 16 application of the codes", because I understand that
 17 sometimes in life, time is of the essence and you are
 18 just going to miss all the other deadlines if you
 19 continue to debate the issue, whereas if you go for the
 20 safe, safe solution which is compliance, everybody is
 21 happy, except the economy loses a bit.
 22 Q. I understand. Now, do you agree with me that codes are
 23 important in terms of standardisation, consistency and
 24 predictability?
 25 A. That's a very interesting question. I'm afraid I'm

<p style="text-align: right;">Page 21</p> <p>1 going to give you a bit of a long answer. Potentially 2 you didn't expect this one.</p> <p>3 My generation wrote the codes. We started writing 4 those codes from a very, very low base of technical 5 knowledge. We used documents which were very much 6 guidelines, very open to interpretation. And because we 7 were very clever, people of my generation thought we'll 8 put that cleverness into codes, and gradually the codes 9 became more and more definitive.</p> <p>10 So I'm apologising, really, because the more that 11 those codes have become definitive and restrictive, the 12 more -- when computers came along and equations could be 13 computerised, the sophistication of those equations 14 became such that you could no longer use them sensibly 15 unless they were in computer programs.</p> <p>16 So now we have reached the situation where the codes 17 that I knew as a boy, because 50 years is a long time, 18 have grown from guidelines into -- words have been used 19 around here of mandatory design manuals. Worse than 20 that, with accompanying computer suites which you can't 21 really do the design unless you've got them. As 22 a result, what has been lost is some of the judgment 23 that I have talked about in the past, just yesterday -- 24 well, it seems like the past -- yesterday and a little 25 bit today.</p>	<p style="text-align: right;">Page 23</p> <p>1 the United Kingdom, and indeed we have guidelines for 2 seismic design for particular strategic installations, 3 like nuclear power stations, for example.</p> <p>4 So yes, it's right that every part of the world has 5 a degree of seismicity, and various studies have been 6 carried out and I think you'll find the initial studies 7 carried out on the seismicity of Hong Kong were indeed 8 Arup's, and Jack Pappin, who is the author of that 9 document, is a personal friend and I did look at what he 10 produced, and I did say at the time that I thought he 11 was taking the upper end of certain parts of the 12 parameters, but that's his judgment and he judged it to 13 be a bit higher than I would have done, but other 14 authors have come along subsequently and supported those 15 general views. I'm a seismologist so I wouldn't cast 16 any more judgment on that, other than, yes, a level of 17 seismicity has been assigned to Hong Kong on the basis 18 of looking at various models, looking at past events, 19 and coming to a view.</p> <p>20 But it certainly isn't anywhere near the high levels 21 of seismicity that you get south of here, for example.</p> <p>22 COMMISSIONER HANSFORD: Towards Indonesia. 23 MR TO: Then we'll come to my cyclic testing. You remember, 24 I was going to -- 25 A. Okay, good.</p>
<p style="text-align: right;">Page 22</p> <p>1 So that's why I say I didn't think you expected 2 that. So the codes are the codes now. In the 3 forewords, they still use the word "guidelines", but the 4 way they are applied, they are no longer guidelines.</p> <p>5 That is very, very regrettable, and I'm almost 6 apologising to myself and my generation for being so 7 damned clever.</p> <p>8 Q. Thank you, Dr Glover. In terms of, for example, 9 earthquake, you mentioned yesterday California and 10 Japan.</p> <p>11 A. Mm-hmm.</p> <p>12 Q. Can I just ask you whether that is speculative in terms 13 of what you are saying, or do you have concrete data to 14 back you up, in terms of Japan is much more severe than 15 California?</p> <p>16 A. I didn't include this on my CV but for many years 17 I chaired the Arup committee on seismic engineering, so 18 I know a little bit about seismic engineering, and 19 California is less seismic than Japan.</p> <p>20 Q. Okay. Now, in terms of seismicity in terms of 21 earthquakes, do you think in Hong Kong we should design 22 codes to cater for it?</p> <p>23 A. It's like a lot of things in life. Once the genie is 24 out of the bottle, you can't put it back again. 25 Technically, every part of the earth is seismic, even</p>	<p style="text-align: right;">Page 24</p> <p>1 Q. The issue about cyclic testing is important, because it 2 talks about for example earthquakes, in terms of 3 tremors, and so on, and the MTR design manual does have 4 provision for it?</p> <p>5 A. Do you want me to answer that? Is that a question?</p> <p>6 Q. You can answer it if you want.</p> <p>7 A. Yes, it has provision, but it's -- I think I said this 8 yesterday and I've said it in my report -- a nominal 9 allowance, and I think a prudent one. Don't 10 misunderstand me. I think it's right.</p> <p>11 I could be wrong but I think there's always been 12 a standard number in the Hong Kong bridge code for 13 a lateral load, and that was always to take account of 14 a nominal load. No, I think it's a prudent measure. 15 I'm not doubting that. It's a strong ground motion 16 which is not appropriate.</p> <p>17 Q. So you are saying it's a prudent measure to adopt some 18 kind of code relating to this kind of situation?</p> <p>19 A. Yes. And for your very tall buildings, for example, 20 here, if they are a beam and column frame, then I think 21 most certainly you should be thinking about that 22 detailing. But interestingly enough you should be 23 thinking about that detailing for your wind anyway. 24 Wind will always trump earthquakes in Hong Kong. It's 25 an interesting -- I mean, the trouble is -- it's like</p>

Page 25	1 a travelogue through life, isn't it? -- I can remember 2 when I was designing the Hongkong Bank, Swiss Re were 3 going to insure the building so we got this memo or 4 telex I think it was in those days asking us how the 5 building would perform in the event of a tsunami. 6 I think my response was "no worse than any other 7 building in Hong Kong". But the fact is that, the risk 8 fact that Swiss Re have, and they still have it, is that 9 tsunamis are a risk for Hong Kong. 10 Please, I'm not being facetious. In Hong Kong, 11 earthquakes are more prevalent than tsunamis. But I'm 12 just trying to give an example that once the genie is 13 out of the bottle, then you've got to ask the question, 14 like the question that's being asked of this building, 15 is it safe, and everybody trembles; is it teetering on 16 the brink? Well, it isn't. 17 Q. You are talking about in terms of liberal approach, we 18 should have some kind of parameters to cater in the 19 code? 20 A. For seismicity? 21 Q. Yes. 22 A. That's for others to judge. You've already got -- 23 someone has already put the provisions in there anyway, 24 which I find a little bit insidious, but that's by the 25 way.	Page 27	1 whether you agree with me or not. 2 Many foundation contractors in Hong Kong assume the 3 pile cap to be rigid; do you agree or disagree? 4 A. In what context being rigid? 5 Q. In a design. 6 A. Sorry, when you say "rigid", you mean it's a solid 7 block? 8 Q. Yes. 9 A. But it can still move, can't it? 10 Q. Yes. 11 A. Yes, I mean, it's a block of concrete. Obviously if 12 it's only 300 millimetres deep, I wouldn't think that 13 would be -- but we're talking a substantial piece of 14 concrete, are we? 15 Q. Yes. 16 A. A couple of metres. Okay. 17 Q. And there are bending movements; don't you agree? 18 A. What, within that solid block? 19 Q. Yes. 20 A. No. It's interesting, the discussion a few days ago 21 about strut-and-tie, in other words you get principal -- 22 big compressions and big tensions. Basically, that's 23 how we -- not traditionally -- that's how we design 24 large pile caps, by a strut-and-tie method. 25 Q. So the pile caps have to be heavily reinforced?
Page 26	1 Q. Can I move on? You mentioned yesterday about movement, 2 remember about that, in terms of not getting bending 3 movements? 4 A. I'm sorry, within what context? 5 Q. Within the context, for example, of the structure, the 6 box area I'm talking about. 7 A. Yes. Not large movements -- do you mean large ground 8 movements? 9 Q. Yes. 10 A. No, yes. Don't forget large ground movements means 11 a differential movement between one part and another, 12 like a large wave coming through the soil and the top 13 and the bottom not being -- if there was a very large 14 difference in strata somewhere, and I'm not talking 15 about here but say California, then you would be 16 thinking seriously in a box structure of some provision. 17 But they have performed remarkably well. 18 Q. I think you are familiar with the Hong Kong construction 19 environment, are you, Dr Glover? 20 A. I think that's a leading question. Could I ask you why 21 you are asking that one in particular? 22 Q. The reason I'm asking this -- maybe I'll ask you the 23 question instead. 24 A. Okay. 25 Q. Or even a statement, I'll just make it out and see	Page 28	1 A. Well, they are heavily reinforced as a consequence of 2 the design. They don't ask to be reinforced. You know, 3 we carry out a design and we put the reinforcement where 4 it's required. 5 Q. So the reinforcement is actually to prevent movement, 6 isn't it? 7 A. No, no, no. No, no, no. The reinforcement is actually 8 to resist forces. 9 Q. To resist forces in terms of bending moments? 10 A. Well, if it's a strut-and-tie, it's to resist direct 11 forces. But the reinforcement is there to resist 12 tensions. 13 Q. Tensions. Thank you. 14 Yesterday you mentioned about, for example, cracks; 15 remember? You talked about shrinkage cracks and cracks 16 caused by loading? 17 A. I said cracking come about from various reasons. 18 Q. Are they the same, shrinkage cracks and loading cracks? 19 A. No, they are caused by different things. Shrinkage 20 occurs quite early on in the life of a structure, in 21 fact in the first days and then through to the first 22 month. It depends on the levels of constraint, because 23 if you have a block of concrete and you put it on the 24 desk, and it's not restrained, then you don't get any 25 shrinkage cracks. So shrinkage cracks are a function of

Page 29

1 how much you hold the edge of the blocks.
 2 So concrete shrinks. If it's restrained, you get
 3 cracking. I think that's a better way of stressing it.
 4 Q. So in terms of crack implications -- and that's what I'm
 5 talking about in terms of the different types of
 6 crack -- the integrity of the structure will be
 7 different?
 8 A. No. No, no. Interestingly enough, the whole principle
 9 of reinforced concrete is that the concrete cracks to --
 10 sorry, how can I best express this? I apologise, let me
 11 think of how I can best explain this.
 12 You have a reinforcement bar, and I think everyone
 13 knows what one of those looks like, and it's got ribs on
 14 it. The way the stress is transferred from the concrete
 15 to the steel is by bond, you know, and when we use to
 16 use just straight mild steel, which didn't have ribs on
 17 it, that process was essentially sort of almost like
 18 a chemical bond. I'm using "chemically" as a sort of
 19 incorrect term here.
 20 COMMISSIONER HANSFORD: You mean like a glue?
 21 A. Like a glue. It sort of just held on to it. In
 22 reality, there was a sort of friction there. But
 23 clearly, once that bond went, it really slipped, it
 24 went. So that's when you started to get the ribbed
 25 bars.

Page 30

1 The thing with a ribbed bar, just like a bolt, it
 2 has to take up a little bit of strain, so, as the beam
 3 bends, the concrete actually has to micro-crack to allow
 4 the bond of the ribs to take place. So concrete cracks,
 5 and it cracks naturally in reinforced concrete, but not
 6 to a huge extent, and the reason that one looks for
 7 those ribs to be mobilised is you get a crack pattern,
 8 not micro-cracks because you can probably see them with
 9 your eye but they are not large cracks.
 10 But that's the way reinforced concrete works.
 11 I know that might be "shock horror" to people, but
 12 reinforced concrete is associated with a degree of
 13 cracking for it to work.
 14 Q. Thank you, Dr Glover. You talked about the structures
 15 and cracking yesterday. I'm just going to elaborate
 16 further.
 17 Do you agree with me that the structure will fail at
 18 the weakest point?
 19 A. I think that's -- it would be illogical for me to say
 20 otherwise, wouldn't it? You would have to define what
 21 the weakest point was.
 22 Q. So you agree with me if there's a weakest point in the
 23 structure, it might collapse?
 24 A. No, it wouldn't necessarily collapse, but if there's
 25 a weak point in the structure, something might happen,

Page 31

1 it might sort of -- .
 2 Q. The structure might fail?
 3 A. I don't know what you're going to ask next.
 4 Q. Following on from that, if all the failed couplers
 5 concentrate on one location --
 6 A. Oh, yes.
 7 Q. Not what we assume in terms of uniform distribution, do
 8 you think so this is dangerous or not dangerous?
 9 A. I think the hypothesis you put forward -- I think you've
 10 really got to think about what you're asking, you know,
 11 how sensible or logical that question was, you know, in
 12 the light of everyday life and what we've observed in
 13 the opening-ups.
 14 I think the likelihood of that happening is
 15 extremely remote, and even then the structure has got
 16 a huge degree of ability to spread the load elsewhere.
 17 Reinforced concrete has a wonderful property in the
 18 sense that it creeps, so if it finds a piece of
 19 weakness, it can actually span around it. So if you
 20 have a connection between a slab and a wall, like that
 21 (demonstrating with hands), coming into each other --
 22 sorry, the other way around -- and you assume that there
 23 was uniformly supported along the whole length, and then
 24 something nasty happened at a certain portion of that,
 25 then what happens is the load goes around it, because it

Page 32

1 can't go there, it doesn't go there, it goes to the
 2 areas of concrete, reinforced concrete, on either side.
 3 And because of the load factors that we use in our
 4 design and the factors of safety on materials,
 5 particularly the steel as I've shown you the
 6 stress-strain curves, this structure's got plenty of
 7 ability to bridge around different situations like that.
 8 Q. So, from your opinion, even the weakest point, the
 9 structure will be still intact?
 10 A. Look, I'm not prevaricating to avoid answering your
 11 question. I'm trying to help you to put the question
 12 into context, because the way you've said it, it could
 13 be the whole length of the wall, but that's not going to
 14 happen, is it? So I think I've got to couch -- I've got
 15 to give you the question you wanted to ask me and then
 16 I'll give you the answer to it. Does that help?
 17 Q. Why not?
 18 A. I think the question you wanted to ask me is there is
 19 a possibility of there being a concentration of
 20 mal-performing components in the structure, and what is
 21 my belief: could the structure handle such an issue?
 22 That's your question, and my answer to that would be:
 23 yes, the reinforced concrete nature of the structure
 24 that we're using has the ability to actually span around
 25 such anomalies.

Page 33

1 Do I believe those anomalies will exist in this
2 structure? No.
3 Q. Thank you very much. Yesterday, I think you were in the
4 room when, for example, Mr Southward was shown
5 a diagram, or you were shown a diagram yesterday, in
6 terms of, for example, the colours in the bars and all
7 that, there was blue in colour; do you remember that?
8 A. Yes, I remember that.
9 Q. In the diagram, there was lapping, not a through-bar,
10 there was lapping.
11 A. I don't think there was on the diagram. I'll stand to
12 be corrected.
13 Q. On the photo there was lapping.
14 A. On the photo. You said on the diagram. On the photo?
15 Yes. Sorry, yes, go on.
16 Q. So even with lapping, do you still believe, for example,
17 with a concentration of the failures in a certain area,
18 you still believe that the structure is safe?
19 A. Most certainly, yes. The lapping, interestingly enough,
20 if those bars, the ones that you are asking me to say
21 they've all failed, they were going to lap on to another
22 bar, that's all. If they are not there, those bars
23 don't work either. And the answer to the question is
24 no, it bridges around.
25 Q. Yesterday, Mr Chow mentioned to you about these

Page 34

1 opening-up; do you remember?
2 A. Oh, yes.
3 Q. I think he gave you some figures. I actually did some
4 calculations, that was yesterday, in terms of data.
5 I think, for example, of the 80 tested, in terms of if
6 it doesn't meet 40, there's 47, that comes to roughly
7 58 per cent. If it's 37, in terms of what we talk about
8 minimum embedment and what is required, there are 36 out
9 of 80, so it comes to 45.
10 So my question to you -- you mentioned yesterday
11 there's no point in opening-up further, there's
12 predictability, consistency, we know the data. But how
13 can you tell the public out there --
14 A. It's quite straightforward. Is that your question?
15 Q. I'm not finished yet. How can you tell the public out
16 there, for example -- how can you tell the public out
17 there, "Don't worry about it, we've got the data, we
18 know there are going to be more but don't worry about
19 it, we think we have enough data now to do the testing
20 and we think the structure is safe." How can you
21 alleviate them and tell them: don't open up?
22 My second point is if the data came back and it was
23 consistent there were no problem with the couplers,
24 wouldn't that send a better message?
25 A. Okay. Is that two parts of the question?

Page 35

1 Q. That's two parts of the question.
2 A. But that is the question?
3 Q. Yes.
4 A. You and I are discussing two different things. You are
5 discussing something I would call compliance with
6 a manufacturer's catalogue, which is in dispute, by the
7 way, in terms of what the interpretation of that is. So
8 you're talking about compliance. I'm talking about
9 safety. I've made it very clear from the outset that
10 I'm not reviewing the structure within the context of
11 let's call it compliance. I'm viewing it from
12 a fitness-for-purpose basis.
13 So if I'm viewing it from a fitness-for-purpose
14 basis, then I'm looking at a sensible figure to assign
15 to a coupler strength to come to a view whether it's
16 strong or not.
17 And so therefore your numbers of -- whatever they
18 might be -- 44, 40, 37, they are not that number. We
19 will demonstrate that a lower number, a level of
20 engagement, which satisfies the strength requirement of
21 the bar -- because don't forget it's a high hurdle to
22 jump, to get to the 650 megapascals when the structure
23 is only actually operating at something like 10 per cent
24 of that number. But that's what we will do.
25 So in terms of a strength demonstration, that's what

Page 36

1 the research programme would be in terms of the testing.
2 With that assurance, then the public I think will
3 understand, particularly when we relate the level of
4 stress that we have in the structure in comparison to
5 the level of ultimate strength that it has. And
6 I emphasise again the stresses in the structure as it's
7 operating are probably around about 10 per cent of that
8 figure, and I think the public at large would understand
9 that ratio, between the capacity that's there and the
10 level at which it's working.
11 Now to answer your other question, I think the first
12 one really, which is to do with confidence in the
13 statistics. When I use the word, and I don't think
14 I did use it but if I had used it, "consistency", I'm
15 not talking about consistency in the sense that you get
16 the same number every time you look at something. I'm
17 saying there's a consistent family, in other words
18 there's a variation in that family, and I'm saying if
19 you do even more tests, you will find that they fit
20 within that family. In other words, the distribution
21 that you're looking at now will not change radically.
22 I think I said yesterday: let's assume that you are
23 finding, in my terms, a rate that doesn't pass my test
24 of about 10 per cent. If you continue the research
25 programme, that might vary in extremis to 8 or 12. But

Page 37

1 the difference between -- and I do apologise if the
 2 difference between 8 and 10 per cent means a lot to
 3 people in the public, but I don't think it does; I think
 4 they understand these are quite small variations -- then
 5 what's what I say. You have 80 samples now. Probably
 6 as we sit here today, there will be more, but I'm saying
 7 we should bring it to a conclusion, a sensible
 8 conclusion.
 9 As I said yesterday, I think statisticians -- I'm
 10 not a statistician, I just use statistics --
 11 a statistician's view, a government view, is obviously
 12 going to trump my individual views, but I'm just telling
 13 you what I believe, and that is you will not get very
 14 much variation from here on in; you'll get more of the
 15 same. You'll get some at 36, you'll get others at 45.
 16 You know, you'll get that sort of thing going on.
 17 I hope I've answered your question. I know it took
 18 a bit of time to get to it. But "consistency" is a very
 19 bad word to use.
 20 Q. In terms of what you just said, Dr Glover, whether for
 21 example the data will come up the same or different and
 22 all that -- at the end of the day, without doubt, there
 23 are problems with the couplers; don't you agree?
 24 A. No. I've got to pull you back there. I've never said
 25 there are problems with the couplers. Quite the

Page 38

1 opposite. I've said there's variations in the
 2 workmanship that you're seeing there, and I don't
 3 think -- I think I also said, to the best of my
 4 knowledge and belief, I've not -- the work has not been
 5 done maliciously. I mean, why would someone take a bar,
 6 screw it in by 6 millimetres -- I think that's one of
 7 what I call a rogue figure -- and leave the rest
 8 sticking out, if they really meant to deceive? It
 9 doesn't make sense.
 10 Q. Actually, it doesn't make sense to me as well, but we do
 11 see photographs of it happening.
 12 A. But that means the workman wasn't trying to -- all
 13 right, let's assume this workman is a rogue workman or
 14 operative. He sees he can't get it in, so he takes it
 15 out -- he's not going to leave this (demonstrating)
 16 sticking out because that means he's done it
 17 incorrectly. No, he will get his saw out and cut the
 18 end off and it will look all right then. But he didn't.
 19 He took the bar and did the best he could.
 20 Q. Maybe you're not aware, Dr Glover, we do have
 21 photographs of people actually physically cutting the
 22 bar.
 23 A. Yes, and interestingly enough I wouldn't be surprised
 24 that there are photographs that show that. There are
 25 many reasons why you have a saw on site to cut

Page 39

1 reinforcement. Not all the reinforcement is threaded,
 2 by the way, as you are well aware. In fact it's quite
 3 the oddity. So I'm not surprised to see a saw on site,
 4 but I'm not saying -- I'm not giving a judgment on
 5 whether there was malpractice or not. I'm just giving
 6 you an engineering view of what I've seen and what the
 7 numbers mean to me.
 8 Q. I understand. Now, I'm not going to take you to the
 9 BOSA letter of 10 January, but it did say, for example,
 10 that we -- I will just read it out, in paragraph 1. It
 11 says on page 3:
 12 "We also understand MTRC has conducted various
 13 similar tests."
 14 And yesterday Mr Boulding did clarify that, for
 15 example, those tests were not done by MTR.
 16 A. Yes, that's correct. I was under a misapprehension.
 17 Q. Okay. Then maybe there's some mistake in terms of
 18 BOSA's letter.
 19 A. I'm sorry, I don't --
 20 Q. I'm just saying.
 21 A. Okay.
 22 Q. In terms of testing of the couplers, you mentioned there
 23 were going to be nine more samples; you mentioned that?
 24 A. Mm-hmm.
 25 Q. Do you have details in terms of the hypothesis, the

Page 40

1 testing method, the requirements, and are these in
 2 accordance with BOSA's requirements, or have you
 3 consulted BOSA? Are you basically in a position to
 4 answer that question?
 5 A. No, I'm sorry. I'm just telling you that those tests
 6 are going to be carried out. I don't have the
 7 specification with me, and I should imagine they will
 8 talk to BOSA. In fact I'm sure they will talk to BOSA
 9 about that. But I'm not in a position to give you any
 10 advice on the questions you've asked.
 11 Q. Thank you.
 12 A. And that's not because I'm avoiding it; it's just I just
 13 don't know.
 14 Q. You did mention, for example, nine samples; yes, you
 15 mentioned that?
 16 A. Mmm.
 17 Q. But in terms of -- you mentioned this is a standard,
 18 isn't it?
 19 A. It's a production engineering standard, yes.
 20 Q. Where do you get that standard from?
 21 CHAIRMAN: Sorry, what I've understood -- I don't want to
 22 interrupt -- but I don't think, unless I'm woefully
 23 wrong, that Dr Glover has said that this is a recognised
 24 industry standard. He has spoken about that number
 25 being used when, in ordinary day-to-day building,

Page 41	Page 43
<p>1 batches of rebars are received.</p> <p>2 A. Correct.</p> <p>3 CHAIRMAN: And it therefore becomes not an uncommon</p> <p>4 methodology. That's what I've understood.</p> <p>5 Now, it may well be that there are in universities</p> <p>6 different levels. I don't think that Dr Glover is in</p> <p>7 any way contesting that. There may be better levels.</p> <p>8 I don't think he's contesting that. He's simply saying</p> <p>9 that this is what has been decided upon in the present</p> <p>10 case.</p> <p>11 MR PENNICOTT: Sir, also, with respect -- I'm sure Mr Chow</p> <p>12 will confirm this -- the Buildings Department itself</p> <p>13 uses nine for batches exceeding 500.</p> <p>14 A. Well, there you are.</p> <p>15 MR PENNICOTT: If you go to H9/4025, you will see that.</p> <p>16 This is one of the appendices to one of the</p> <p>17 Buildings Department's acceptance letters, and you can</p> <p>18 see the table there. So "Exceeding 500" is "9".</p> <p>19 A. Thank you very much.</p> <p>20 MR PENNICOTT: We have seen, if you go back to the January</p> <p>21 2014 Pypun/Buildings Department audit, all the tests</p> <p>22 they did, I mentioned the number of 27 the other day,</p> <p>23 they did three lots of nine.</p> <p>24 A. Thank you.</p> <p>25 CHAIRMAN: I would be more than happy if you would like to</p>	<p>1 A. And it's a test of is the batch -- let's assume you've</p> <p>2 got a batch, and the concept of batch is that things are</p> <p>3 produced in a mass-produced sense. They are using the</p> <p>4 same batch of steel, et cetera. So the reason for those</p> <p>5 tests is to demonstrate that that batch passes a test.</p> <p>6 That test is to test that particular component as to</p> <p>7 whether it does what it should do. It is not then</p> <p>8 extrapolated into what happens in the structure. All it</p> <p>9 is -- it's saying that that product has passed this</p> <p>10 hurdle in terms of being made of the right stuff.</p> <p>11 I would say to you that that measurement, which</p> <p>12 I think in Hong Kong is 0.1 of a millimetre, as I say --</p> <p>13 Q. That's correct.</p> <p>14 A. -- it literally is the width of a hair -- is very</p> <p>15 arbitrary, because if you were to go to Texas, for</p> <p>16 example -- I'm not suggesting you should -- you'll find</p> <p>17 that that figure is 0.25. Now, why should it be any</p> <p>18 different? It's just that they judge it as being</p> <p>19 a reasonable test of the product. But how would you</p> <p>20 extrapolate 0.1 into the structure and then Texas would</p> <p>21 extrapolate 0.25 into the structure?</p> <p>22 So all I'm saying to you is they are a test of the</p> <p>23 quality of the product that's coming off the assembly</p> <p>24 line, and it is an error to then extrapolate that into</p> <p>25 what happens in the structure.</p>
Page 42	Page 44
<p>1 put it to Dr Glover that he's badly off the mark and</p> <p>2 that in fact either academic information is to the</p> <p>3 contrary and/or industry standard information is to the</p> <p>4 contrary and/or statutory requirements are to the</p> <p>5 contrary.</p> <p>6 But outside of that, I have a little difficulty.</p> <p>7 MR TO: I understand.</p> <p>8 Maybe I will rephrase it this way: do you think,</p> <p>9 Dr Glover, test samples give a reasonable indication of</p> <p>10 the performance of such a large population?</p> <p>11 A. Absolutely.</p> <p>12 Q. Just a few more questions. You have mentioned about the</p> <p>13 elongation -- remember?</p> <p>14 A. (Nodded head).</p> <p>15 Q. -- requirement of the coupler is a measurement of the</p> <p>16 product passing and not a structural integrity issue?</p> <p>17 A. Yes, I think I said something along those lines.</p> <p>18 Q. So the requirement indicates the performance of the</p> <p>19 coupler after installation?</p> <p>20 A. The test is that you pull the coupler at quite a high</p> <p>21 level of stress, you release it and you measure it, and</p> <p>22 that's called the elongation. It's not -- let's call it</p> <p>23 elongation because that's what it is. But it is the</p> <p>24 width of a hair.</p> <p>25 Q. 0.1.</p>	<p>1 Q. So do you agree with me that the performance of the</p> <p>2 coupler is very important to the performance of the</p> <p>3 reinforced steel bar being connected?</p> <p>4 A. I would say the strength of the coupler is the thing</p> <p>5 that matters. The elongation is a cul de sac in</p> <p>6 conversation, because it is not relevant to the actual</p> <p>7 what happens in the physical structure, because the</p> <p>8 coupler is tested in open air, on its own, which is not</p> <p>9 the context within which it works.</p> <p>10 Can I help you on this, because I think you are</p> <p>11 worried about distortion and things -- that's what you</p> <p>12 are really worried -- in structure.</p> <p>13 Q. I am.</p> <p>14 A. If you were to take two bars, two reinforcing bars, and</p> <p>15 apply the same load to them that you would -- in</p> <p>16 a structure that you would to a coupled connection, you</p> <p>17 will find the coupled connection will be stronger. When</p> <p>18 I say "stronger", because they've both got the same</p> <p>19 strength, stiffer.</p> <p>20 Q. Provided they are connected properly?</p> <p>21 A. Provided they pass what I would call the elongation</p> <p>22 test.</p> <p>23 Q. So they are connected properly in terms of the</p> <p>24 embedment.</p> <p>25 A. No. No. They have to be embedded sufficiently to</p>

Page 45

1 generate the correct strength, and in doing so the
 2 elongation, using your word rather than mine, should not
 3 be excessive.
 4 Now, I do not believe a number which is 0.1 is
 5 excessive. I mean, please, if you take it out, and
 6 that's a good reminder, I would even say even if it was
 7 two hairs, that would not be excessive, or even three
 8 hairs, because I don't believe the impact on the
 9 structure is significant, and my comparison with
 10 a lapped bar I hope gives you that assurance.
 11 That's the statement, and if you knew the history of
 12 where the 0.1 came from, you'd understand why I'm quite
 13 doubtful it is a reasonable test.
 14 Q. I understand. I read it last night, the 0.1 millimetre,
 15 so I have a fair idea.
 16 A. It's a number and it's a hard hurdle to pass but --
 17 Q. My last point on this. So do you agree with me that the
 18 performance of the reinforced steel bar is always
 19 a structural integrity issue in reinforced concrete?
 20 A. Most certainly, yes. You use the word "reinforced
 21 concrete" so therefore without the reinforcement it
 22 wouldn't work.
 23 Q. For example, then we need to follow some kind of code to
 24 ensure, for example, the performance is there -- I know
 25 you don't like the word "consistency" but remember in

Page 46

1 future that station might have extensions, there might
 2 be structures at the side, so if we have consistency,
 3 standardisation in place, and the diagrams are all there
 4 so that when you have extensions, that wouldn't be
 5 a problem in terms of future designers; do you agree?
 6 A. Can I correct your use of my use of the word
 7 "consistency"? I was talking about consistency of
 8 statistics, not consistency of structural integrity. So
 9 they are two different things so please recognise that.
 10 Yes, I mean, there have to be -- it has to have
 11 demonstrable strength and that's what we are embarking
 12 upon. We are demonstrating that the components that
 13 make up the structure will have the integrity required
 14 for strength.
 15 Q. Now, when we talk about --
 16 CHAIRMAN: Sorry, again, I may have been misunderstanding
 17 this -- and again, if I have, I have fallen woefully
 18 behind the race -- I have never understood Dr Glover to
 19 be saying that rules and regulation, codes and
 20 specifications, should be abandoned and that it should
 21 be some sort of "free-for-all" where creativity is all,
 22 because he hasn't said that, in my view. What he's
 23 saying is -- and perhaps there's a key phrase where he
 24 says "I come from a different world". What he is saying
 25 is that for future consideration there can perhaps be

Page 47

1 a culture that allows codes and regulations to be tested
 2 in the sense of advancing engineering, provided always
 3 there is the necessary internal integrity to whatever it
 4 is that is constructed so that it is safe.
 5 So I have understood him to be saying: for the
 6 future, not for now, that kind of culture which allows
 7 a little more interplay, which doesn't simply set up
 8 rigidity of codes, that should perhaps be considered.
 9 Now, whether we find any strength in that, or
 10 whether we reject it outright, is a matter for us.
 11 COMMISSIONER HANSFORD: Would what you just said still work
 12 if you replace the word "interplay" with "judgment"?
 13 CHAIRMAN: Yes, "judgment".
 14 So he's not saying this is what should have been
 15 done. I think what he's saying is: this would be
 16 aspirationally a good way to consider the future. And
 17 I don't think he's saying in any way that the codes here
 18 were in fact ignored, other than perhaps an issue which
 19 he doesn't want to get involved in.
 20 COMMISSIONER HANSFORD: This is quite useful to us because
 21 part of our terms of reference, in fact part (c) of our
 22 terms of reference, is to make recommendations for the
 23 future, and so that's why we're rather -- that's why
 24 we're very interested in this aspect of what Dr Glover
 25 is telling us.

Page 48

1 MR TO: I understand, Professor and Chairman. I agree with
 2 what you've said. What I'm trying to put forward,
 3 Chairman and Professor, is the issue about the flag on
 4 the hill -- remember that, Dr Glover?
 5 A. Mm-hmm.
 6 Q. In terms of codes, we do have a code, we do have the
 7 Buildings Ordinance 123; we have the full ordinance. If
 8 there are problems with the design, if there are
 9 complications, if you can't design it as it's been
 10 designed for, build for design, the chances are then you
 11 need to flag these up, you need to alert authorities,
 12 you need to alert certain people in terms of, "Hey,
 13 please stop what we are doing now because there are
 14 problems with the design and if we continue to design,
 15 there could be a problem", but unfortunately in this
 16 situation we haven't seen that.
 17 CHAIRMAN: Sorry, I don't understand that. It's me again,
 18 I'm sure. Could we re-state that?
 19 MR TO: Okay. Maybe there was some misunderstanding, maybe
 20 people weren't informed or certain requirements weren't
 21 followed -- "maybe", I'm saying that, "maybe" -- there
 22 could be doubts in other people's eyes in terms of
 23 whether it was followed or not.
 24 A. Sorry, I don't know what it is that wasn't followed.
 25 What are we talking about? I do apologise. It's me.

Page 49	1 Q. In terms of, for example, the as-built drawings. 2 A. Okay . 3 CHAIRMAN: That's a different subject. That's an entirely 4 different subject. I think to confuse the two 5 misunderstands Dr Glover's evidence entirely. 6 He's not saying that on site there should not have 7 been proper inspection. He's not saying that in the 8 building of a particular matter there should or should 9 not have been proper liaison with the Buildings 10 Department. He's not saying that if a worker decides 11 he's only going to put in a rebar into a coupler every 12 fourth time, that that may be permissible. He's gone 13 nowhere near that. 14 COMMISSIONER HANSFORD: Forgive me, and just to add, I don't 15 think Dr Glover is saying that there shouldn't be 16 as-built drawings, which is the point you have just 17 raised there. 18 MR TO: So, Dr Glover, are you saying that there should be 19 more partnering in terms of doing this project? 20 A. Absolutely. I'll go further than that. I would say you 21 should not have authority without responsibility, and 22 I think that is a very important test of any governance 23 structure. If you look through the structure -- and 24 this is I guess true of life but I don't want to 25 extrapolate it too far -- but particularly in	Page 51	1 here, Steve Rowsell, who told us his views on NEC, but 2 we had that last week. 3 A. Privately, I can tell you what mine are, but that's by 4 the way. That's not my remit, I'm sorry. 5 MR TO: Thank you very much. Just for those who are not 6 sure what the acronym "NEC" stands for, new engineering 7 contracts. 8 CHAIRMAN: Is it "new" or "no"? 9 COMMISSIONER HANSFORD: Well, it's new engineering contract. 10 The author of the New Engineering Contract was Dr Martin 11 Barnes. I suggested to him the word "new" might be 12 inappropriate because one day it would no longer be new, 13 and he's told me, "It's not been a problem with the New 14 English Bible, it won't be a problem with this." 15 A. I think that says a lot about Martin, doesn't it? 16 I think that describes his personality. 17 COMMISSIONER HANSFORD: So I think we can stick with the 18 word "new" but it's commonly just called NEC and it's 19 currently on version 4, but NEC3 and NEC4 are both in 20 common usage. 21 MR TO: I'm sure he'll agree with that. 22 COMMISSIONER HANSFORD: I have rather a lot of experience in 23 this area. 24 MR TO: Thank you very much. 25 Dr Glover, just two more questions to finish it off.
Page 50	1 construction, where safety is of paramount importance, 2 you can't have a division between responsibility and 3 authority, and I'm afraid superficially, when I look at 4 the governance structure on certain projects, I can see 5 there's a case to ask yourself. 6 Q. The reason I'm asking you that question is because the 7 project management expert did advocate in terms of NEC. 8 I'm not sure if you're familiar with NEC. Do you 9 believe NEC would be an appropriate means in terms of 10 addressing the problems going forward? 11 A. That is definitely outside the remit. 12 MR PENNICOTT: Hugely. 13 A. Hugely outside. But just to put your mind at rest, yes, 14 I've used NEC extensively, probably -- well, at least 15 7 billion pounds of work. I've also used FIDIC, that's 16 probably about 3 billion pounds of work. Would I want 17 to make a judgment for Hong Kong? No, because it's 18 horses -- the fact that I've used both demonstrates that 19 you've got to be very clear about the context, what 20 you're trying to achieve. 21 COMMISSIONER HANSFORD: And, Dr Glover, you're absolutely 22 right. That's, as I understand it anyway, beyond the 23 terms that you have been -- 24 A. I think so. 25 COMMISSIONER HANSFORD: But last week we had Mr Rowsell	Page 52	1 Can I take you to, for example, your report, at ER. 2 It's page 13. Do you have a copy of it? 3 A. Yes, I have. I've found it. Thank you. 4 Q. You talk about -- I know this might not be an important 5 issue but I just want to address you on it -- in terms 6 of number 9, "Load test" -- 7 A. Mm-hmm. 8 Q. -- I'll just read it out in terms of 9.3: 9 "A more worthwhile approach would be to complete the 10 re-analysis of the structure on the basis of the rebar 11 detailing uncovered in the opening-up works to confirm 12 its structural adequacy." 13 Do you still believe this statement still holds what 14 you have just told us? 15 A. Yes, I do, yes. I think it's very important to do that 16 because there are so many pieces to be brought together, 17 and the only way you can really bring them together is 18 to do a comprehensive analysis. 19 Q. So an opening-up in terms of looking at the structure, 20 the adequacy of, for example, the rebar detail? 21 A. Yes, and I think to be clear, the common language you 22 are using in the project is purpose 1, in other words 23 the uncovering of the top of the EWL. Yes, I think 24 that's important. 25 Q. My last point to you is -- if you go to your report, in

<p style="text-align: right;">Page 53</p> <p>1 terms of paragraph 11. 2 A. Yes. 3 Q. I'm just looking at the word "honeycombing"; yes? 4 A. Yes. 5 Q. If you look at paragraph 11.2. 6 A. Yes. 7 Q. The last sentence, you said: 8 "The agreed opinion was that the concrete defects 9 were not unusual in such a massive construction and were 10 capable of repair." 11 So what are you trying to say here? 12 A. What I'm saying is that it is not unusual to find 13 honeycombing in construction. There are great 14 concentrations of reinforcement in this slab. When 15 I use the word "massive" construction, I'm referring to 16 its great depth, and the problem with such depth, as 17 I think has been discussed, maybe not -- the problem 18 with something which is 3 metres deep is you are 19 concreting from above, and it's not a lack of diligence 20 on the part of the operative at the top with the 21 concrete and trying to vibrate it. The reinforcement is 22 very tightly measured at the top. T40 is at 150, two or 23 three levels, and he's looking down onto probably 24 another seven layers of reinforcement, and he's trying 25 to get his poker, the vibration poker, into those areas.</p>	<p style="text-align: right;">Page 55</p> <p>1 But that's a personal view. You asked me -- you 2 asked the question, and that's a cause and effect, isn't 3 it? You've got an effect, which is voiding. What was 4 the cause? One of the causes was the great 5 concentration of reinforcement, but the other one was 6 that the concrete mix could have been different, and 7 I think you would have got a better performance. 8 COMMISSIONER HANSFORD: And the capability of repair, 9 Dr Glover? 10 A. The capability of repair is the superficial ones, 11 because I think they tend to be concrete cover, I think 12 almost like a plastering approach towards it. But the 13 deeper ones might -- not just my preference -- I would 14 strongly recommend that it's pressure-grouted. 15 I've had experience with that and I think it works 16 very well, but there seems to be some reticence to do 17 that, but I'm sure they will come around to it. 18 COMMISSIONER HANSFORD: And once repaired, then it has its 19 full integrity, does it? 20 A. It has its full integrity but the stress will have been 21 lost in those bars which lap, because obviously this bar 22 laps with that (demonstrating with fingers) and how does 23 it communicate? It's with the concrete in between. 24 90 per cent of the load is on, so those bars will only 25 see the next 10 per cent. But there is so much</p>
<p style="text-align: right;">Page 54</p> <p>1 As a consequence, because of that great depth, it is 2 not unusual to find areas of -- in fact my term, call it 3 "honeycombing" because that's the language you are 4 using. 5 COMMISSIONER HANSFORD: Sorry, what language would you use? 6 A. I would have said "void". Honeycombing tends to me to 7 be something that's more surface, but when you get 8 voiding, where there is actually no concrete -- you 9 know, the concrete has arched over -- so I guess, to me, 10 honeycombing would be where you've got concrete but it's 11 not actually -- you haven't got the latence in there, 12 you've just got this honeycombing. But where you've 13 physically got a void, that's a void to me. But they 14 seem to be lumped together in the description. 15 Does that make sense? 16 COMMISSIONER HANSFORD: Yes, it does. 17 A. What I would say, and this is just a comment, I know 18 that the concrete pours that were made used what I would 19 classify as standard mix of 20 millimetre aggregate and 20 I'm sure you use some form of plasticiser but I think 21 with the concentration of reinforcement, whoever was 22 responsible for casting the concrete should have used 23 a smaller aggregate and should have used 24 a super-plasticiser, and they didn't, and that has 25 certainly contributed to the honeycombing.</p>	<p style="text-align: right;">Page 56</p> <p>1 redundancy in the structure that the bars on either size 2 of it, and indeed above it, are taking the strength. 3 COMMISSIONER HANSFORD: As you've already explained. 4 A. Yes. So I think -- but the repair method of that 5 pressure grouting is what's needed. 6 MR TO: Thank you, Dr Glover. You mentioned about the 7 aggregate. 8 A. Yes. 9 Q. So if someone follows the specifications exactly, and 10 all that, then clearly the specifications are wrong? 11 A. A specification is like a rule, going to my codes. 12 Because it says something and you know it to be wrong, 13 would you do it? 14 Q. But if the one who's pouring it doesn't know what it is? 15 A. No, the man who's pouring it -- it's just been 16 delivered. No, who asks what should be delivered and 17 who authorises it at the higher level. So leave the 18 operative out. I think looking at the amount of 19 concrete that was being placed and the speed it was 20 being done, I think they were pretty diligent, actually, 21 and when you look at the task they had of actually 22 forming it -- no, the specification would have said 23 whatever it said. I'm not suggesting for a moment that 24 the specification was not applied in the works. What 25 I'm saying is -- this is one of my examples of</p>

Page 57

1 challenge. You know, there's the words, that's what has
 2 been contracted to do, but you don't just carry it
 3 through if you know it is probably not going to give you
 4 the best answer, because at the end of the day the
 5 person who is responsible for that concreting is running
 6 his own risk. In fact he's got his risk now, hasn't he?
 7 The honeycombing was only caused by the concreting man.
 8 So isn't it to his benefit to have actually challenged
 9 the specification if he thought it wouldn't give the
 10 right product, the right fitness for purpose?
 11 Q. It would be in his position to challenge something if,
 12 for example, he was aware after it had been poured and
 13 he saw the surface.
 14 A. No, I think if this is a competent contractor -- and I'm
 15 not challenging the competence of the contractor -- they
 16 know the challenge ahead of them, and if they did not
 17 ask the question and challenge it -- they could have
 18 challenged it, I don't know, and they could have said,
 19 "No, we are not accepting your challenge", and in that
 20 case, that's all right.
 21 But I think in this case it would have definitely
 22 been better if you had used a -- or if they had used,
 23 whoever it might be, a smaller aggregate and
 24 super-plasticiser. And I'm not saying for a moment that
 25 the specification that was applied was not a sensible or

Page 58

1 appropriate one. I just don't think it was looked at
 2 for the particular circumstances.
 3 Q. I understand.
 4 A. Does that --
 5 Q. It answers my question.
 6 In terms of -- you mentioned about the void or
 7 honeycombing -- is it common in the construction
 8 industry to have voids or honeycombs?
 9 A. Well, yes, concrete repairs are -- I'm afraid they are
 10 a way of life. What is more insidious is lack of cover
 11 to concrete. That's something that catches.
 12 Interestingly enough, honeycombing is something you can
 13 see and do something about. Inadequate cover is
 14 something that catches you out in the years to come.
 15 But no, these are -- I wouldn't say common everyday
 16 events. You don't have a 3 metre deep suspended slab
 17 every day. But no, these aren't things that "shock
 18 horror, my goodness this has happened".
 19 MR TO: Thank you, Dr Glover. That's all from me.
 20 WITNESS: Thank you very much.
 21 Re-examination by MR BOULDING
 22 MR BOULDING: Good morning, Dr Glover. There's just one
 23 matter I would like to ask you about. You will recall
 24 having been questioned by various lawyers in the room
 25 about technical compliance matters.

Page 59

1 A. Yes.
 2 Q. I have jotted down that you have emphasised on a number
 3 of occasions that you are here and you are dealing with
 4 fitness for purpose and in particular safety. Do you
 5 remember giving answer to that effect?
 6 A. Correct.
 7 Q. I wonder if we can just have a look at your report which
 8 is up on the screen, very happily. If we can go to
 9 8.10, which is on page 12.
 10 A. Yes. Thank you.
 11 Q. There do I see your "Conclusion of considerations of
 12 structural adequacy"?
 13 A. Correct.
 14 Q. If we could go to page 13.
 15 A. Yes.
 16 Q. You say at the top:
 17 "It is evident that so far as I am concerned that
 18 the structure of the station box has large degrees of
 19 redundancy and robustness and, consequently,
 20 a comfortable margin of safety which supports my opinion
 21 that the structure is safe for its intended lifespan."
 22 Now, taking account of all the propositions which
 23 have been put to you over the course of the last three
 24 or four hours, is that still your professional view?
 25 A. It still is.

Page 60

1 Q. Do I understand that you stand by the bullet point
 2 reasons in that paragraph as supporting that view?
 3 A. Can I just look at them?
 4 Q. Please do. I want to be certain about this.
 5 A. Yes, I still accept those points. Yes, I do.
 6 Q. You are sure about that?
 7 A. Yes, I am. And to be doubly sure I would like to carry
 8 through with the test evidence, because I do
 9 acknowledge, and I've said that all the way through,
 10 that the test evidence points me in a direction and
 11 I want to close it out.
 12 Q. As you said, that's to be doubly sure.
 13 A. That to be doubly sure, yes.
 14 MR BOULDING: Thank you, Dr Glover.
 15 Sir, Professor, I don't know whether you have any
 16 questions.
 17 COMMISSIONER HANSFORD: I just have one and as a civil
 18 engineer I ask this question with a little bit of
 19 trepidation.
 20 Dr Glover, you are an eminent structural engineer,
 21 and I know Arup has both structural engineers and civil
 22 engineers. It might just assist the Commission if you
 23 could explain what is the difference between a civil
 24 engineer and a structural engineer.
 25 A. Right. At university, I studied civil engineering.

Page 61	Page 63
<p>1 That's a degree. I actually practise civil engineering, 2 but I specialised in structural engineering. As the 3 professor will know, there is an arrogance in structural 4 engineers, and some of us, for one reason or another, in 5 the folly of youth, decided that we would become members 6 of the Institution of Structural Engineers, as opposed 7 to the civils. It was a straight choice. 8 COMMISSIONER HANSFORD: As opposed to the Institution of 9 Civil Engineers? 10 A. Exactly. I must admit, I've been invited to join on 11 a number of occasions but I felt I would be letting down 12 my younger self in terms of the arrogance. 13 But it is important and perhaps I should correct 14 that error of my youth and become a member as well. 15 COMMISSIONER HANSFORD: I'm sure the Institution of Civil 16 Engineers would welcome you, Dr Glover. 17 A. Thank you very much. 18 So civil engineering is very wide, as a day-to-day 19 life I practise that, but I specialise in structural 20 engineering. 21 Does that help you? 22 COMMISSIONER HANSFORD: And the specialisation, just to 23 differentiate it from civil engineering? 24 A. The specialisation, structural engineering, is to do 25 with the mechanics of frameworks and plates.</p>	<p>1 slightly unfair, Mr Boulding -- indication as to how 2 long it might take for those to be considered by 3 Dr Glover? 4 MR BOULDING: I am told that they are substantial in length. 5 I think they are something like 100 pages. It would 6 probably take me six months but of course he's got far 7 better skills than I've got. 8 CHAIRMAN: Sorry, just remind me, these are calculations by 9 Mannings for what purpose? 10 MR BOULDING: Carried out on behalf of government. 11 CHAIRMAN: For what purpose? 12 MR BOULDING: Into the structure, as I understand it. 13 COMMISSIONER HANSFORD: Sorry, Mr Boulding, as far as you 14 are aware, are these the calculations that Prof Au was 15 referring to on Monday or Tuesday? 16 MR BOULDING: I think so. 17 MR PENNICOTT: I may be able to shed some light on this, 18 sir. 19 CHAIRMAN: Thank you. 20 MR PENNICOTT: Because I have actually seen the 21 calculations. 22 COMMISSIONER HANSFORD: What do they say? 23 MR PENNICOTT: Mr Boulding is right, first of all, that they 24 came in relatively late last evening, as far as I'm 25 concerned. Obviously Prof McQuillan is in the same</p>
Page 62	Page 64
<p>1 Interestingly enough, structural engineering, when I was 2 younger, in our exam that we used to take, it was 3 a day-long exam, it wasn't an interview or whatever, it 4 was a physical exam, "Here's a problem, solve it", so it 5 was a pretty high hurdle to pass, and we used to have 6 an aeronautical question. So interestingly enough, 7 structural engineering, although it is a subset, 8 an arrogant subset, I must say, within civil 9 engineering, it also encompassed aeronautical 10 engineering, so it went off to the side. 11 COMMISSIONER HANSFORD: That's helpful. Thank you. 12 MR BOULDING: I have just been passed a note and it says 13 that the calculations carried out by government, the 14 government consultant, Mannings, were made available 15 very late last night. Now, Dr Glover has not had 16 an opportunity to look at those because of when they 17 were delivered and of course the fact that he's been in 18 the box and we've not been able to communicate with him. 19 So can I just point out that we are now going to ask 20 Dr Glover to do a little bit more work and look at those 21 calculations, and I wonder whether, if he's got any 22 interesting observations to make on those calculations, 23 that you would consider having him back, say, for five 24 or ten minutes later today. Can I just make that point? 25 COMMISSIONER HANSFORD: Is there any -- this is possibly</p>	<p>1 boat, as it were, as Dr Glover, albeit that he's not in 2 the same witness box yet, in the sense that he's had the 3 quickest of glances and no more at the calculations this 4 morning. 5 They are bulky. They deal specifically -- what 6 we've been given, as I understand it, is a covering 7 letter from the DoJ, Prof Au's list of calculations that 8 he thinks ought to be done, and then some calculations 9 by Mannings that run, as I say, to a number of hundreds 10 of pages. 11 They are all, as I understand it, focused on the 12 debate we've been having about the shear and the 13 construction joint and the shear plane of that 14 construction joint. 15 CHAIRMAN: Yes, Prof Au said that that was an area that he 16 felt could be dealt with by calculation. 17 MR PENNICOTT: Yes. 18 CHAIRMAN: Or initially dealt with by calculation. 19 MR PENNICOTT: Yes. So what we have -- we've already had 20 the Atkins calculations that Prof Au was critical of in 21 his report -- we now have another series of calculations 22 by Mannings which as I say are not short, and whilst I'm 23 not resistant to Mr Boulding's suggestion that Dr Glover 24 has a look at them, I am very doubtful, having had 25 a brief conversation with Prof McQuillan had morning,</p>

Page 65	<p>1 that either Prof McQuillan or, with the greatest of</p> <p>2 respect, Dr Glover is going to be able to take the</p> <p>3 matter too far, given the very short period that is</p> <p>4 available to us.</p> <p>5 COMMISSIONER HANSFORD: I'm not sure it would serve this</p> <p>6 Commission very well to have a sort of initial view.</p> <p>7 I think it would require a thorough review.</p> <p>8 MR PENNICOTT: Yes. I suppose there's always the prospect</p> <p>9 that they might look at them and say, for whatever</p> <p>10 reason, they are fundamentally flawed right at the</p> <p>11 outset, but that prospect I would have thought is not</p> <p>12 great.</p> <p>13 COMMISSIONER HANSFORD: And open to challenge.</p> <p>14 MR PENNICOTT: And open to challenge. Sir, we are due to</p> <p>15 finish the expert evidence today.</p> <p>16 What is clear, I have to say, from the brief perusal</p> <p>17 that I've had of the calculations, is that it's quite</p> <p>18 clear that Mannings started this work way back in</p> <p>19 probably the end of October/beginning of November, and</p> <p>20 what we've got is revision 2 of a report of which there</p> <p>21 was a previous revision at an earlier date. Obviously,</p> <p>22 having not seen the first revision, one doesn't know</p> <p>23 what the changes are in the latest version.</p> <p>24 So this is work that's been going on for some time</p> <p>25 and here we are, on the last day of the structural</p>	Page 67	<p>1 Prof Au's evidence, he seemed to be intimating that the</p> <p>2 calculations he had in mind could be done relatively</p> <p>3 quickly, over a couple of days or so.</p> <p>4 COMMISSIONER HANSFORD: Half a day.</p> <p>5 MR PENNICOTT: But it's quite self-evident to me that these</p> <p>6 Mannings calculations have been prepared over months.</p> <p>7 So the Mannings calculations don't appear, to me at</p> <p>8 least, to be the ones that Prof Au perhaps had in mind.</p> <p>9 But I may be wrong on that.</p> <p>10 COMMISSIONER HANSFORD: There may be others as well.</p> <p>11 MR PENNICOTT: There may be others. I just don't know.</p> <p>12 CHAIRMAN: Can I ask what --</p> <p>13 MR CHOW: Sir, if I may assist on this subject. First of</p> <p>14 all, I myself have not looked at the details of</p> <p>15 Mannings' calculation, but I tend to agree with</p> <p>16 Mr Pennicott's observation. I have some doubt as to</p> <p>17 whether it is helpful for the experts to look at</p> <p>18 Mannings' calculation at this stage. As I recall, what</p> <p>19 Prof Au said is Mannings' work was done based on</p> <p>20 incomplete and insufficient base data, and on that basis</p> <p>21 they found some problems in some of the locations, and</p> <p>22 my understanding is the set of calculations now produced</p> <p>23 by Mannings reflects what they have done on the basis of</p> <p>24 incomplete base data.</p> <p>25 To that extent, I doubt very much that even if there</p>
Page 66	<p>1 engineering expert evidence, faced with what on any</p> <p>2 analysis is a large amount of calculation.</p> <p>3 COMMISSIONER HANSFORD: When Prof Au suggested that this</p> <p>4 work should be done, on Monday or Tuesday of this week,</p> <p>5 I don't think it was committed that the experts gathered</p> <p>6 here today would review that --</p> <p>7 MR PENNICOTT: No.</p> <p>8 COMMISSIONER HANSFORD: -- and be cross-examined on it.</p> <p>9 MR PENNICOTT: No.</p> <p>10 COMMISSIONER HANSFORD: So is that something that perhaps we</p> <p>11 could take over the next week, not for cross-examining,</p> <p>12 of course, but the review by the other parties on these</p> <p>13 calculations could be reported back to us next week?</p> <p>14 MR PENNICOTT: Sir, that's a possibility, but I wouldn't</p> <p>15 like to commit either the Commission's team, if I can</p> <p>16 say that, and Prof McQuillan in particular, or indeed</p> <p>17 any of the other parties -- MTR, Leighton and anybody</p> <p>18 else who might be interested -- to respond to you, sir,</p> <p>19 before they've had an opportunity of actually looking at</p> <p>20 those calculations.</p> <p>21 COMMISSIONER HANSFORD: Of course not.</p> <p>22 MR PENNICOTT: They may say, "I'm sorry, mission impossible,</p> <p>23 we can't possibly do that for several weeks; it's going</p> <p>24 to take us some time."</p> <p>25 What troubles me slightly is that, as I understood</p>	Page 68	<p>1 is any comment or disagreement on the accuracy of the</p> <p>2 calculations, that it would really assist this</p> <p>3 Commission for the purpose of what we are doing now.</p> <p>4 COMMISSIONER HANSFORD: It sounds to be of limited value at</p> <p>5 this stage.</p> <p>6 MR CHOW: Yes, because in fact when we submitted the</p> <p>7 calculations yesterday, my understanding is that the</p> <p>8 covering letter makes it clear that this calculation was</p> <p>9 made on the basis of incomplete and insufficient base</p> <p>10 data, and the list that we served yesterday actually, as</p> <p>11 far as I understand, sets out all the base data that we</p> <p>12 think should be made available for a more accurate and</p> <p>13 meaningful calculation.</p> <p>14 MR BOULDING: Sir, it seems as though I was correct to raise</p> <p>15 this matter, because it could well be important.</p> <p>16 Obviously Mr Pennicott is better informed than I am at</p> <p>17 the moment. But it doesn't seem as though my proposal</p> <p>18 of having Dr Glover back today is realistic in the</p> <p>19 circumstances.</p> <p>20 So whilst we put down a marker and we'll obviously</p> <p>21 look at them and revert to you and assist you as much as</p> <p>22 possible, that doesn't seem to me to be a realistic</p> <p>23 course of action.</p> <p>24 COMMISSIONER HANSFORD: Mr Boulding, whilst I accept what</p> <p>25 you have just said totally, and it's not realistic to</p>

Page 69

1 involve Dr Glover in a response to those calculations
2 today --
3 MR BOULDING: Exactly.
4 COMMISSIONER HANSFORD: -- nevertheless, it may be
5 appropriate for you to be consulting Dr Glover on this
6 work.
7 MR BOULDING: Of course, over the course of the next few
8 days.
9 COMMISSIONER HANSFORD: Yes.
10 CHAIRMAN: All right. Then we will --
11 MR CONNOR: Sorry, if I may add, there is an additional
12 question which we might come back to later which is that
13 again, once we have all had a chance to read what has
14 been submitted overnight in terms of this list that
15 Mr Chow refers to, what is to be done with it -- is that
16 something which Mr Chairman and the professor wish to
17 charge individuals, experts or others, to deal with? Is
18 it something that Prof Au is handling? Can we expect
19 more from the government on this? I think that's
20 an unanswered question at this stage but clearly we need
21 clarity on it before we get to the stage of submissions
22 to you.
23 CHAIRMAN: I would imagine we will discuss this over the
24 morning adjournment.
25 MR CONNOR: Thank you, sir.

Page 70

1 CHAIRMAN: But obviously if its basis is flawed, and
2 materially flawed, then obviously it probably is not
3 going to be of any real assistance to us.
4 MR CONNOR: Absolutely. I was drawing a distinction between
5 what Mannings may have produced or what has been
6 produced on behalf of Mannings and separately the list
7 that Mr Chow referred to which also has been lodged and
8 this is what we understand to be generated further to
9 the conversation and the evidence of Prof Au.
10 COMMISSIONER HANSFORD: I think that's clearly understood,
11 Mr Connor.
12 MR CONNOR: Thank you.
13 CHAIRMAN: Thank you very much.
14 MR PENNICOTT: Just to assist, I have asked the Secretariat
15 just to put up on the screen the extent of the
16 documentation. So you will see, from item -- all this
17 material has now been put in bundle H37, and the
18 covering letter from DoJ you can see is at 232, and then
19 the rest of the documentation below 232 all the way down
20 to 239 is the extent of what we've been provided with,
21 and that's just an index.
22 CHAIRMAN: So we've had --
23 MR PENNICOTT: It looks like that (indicating).
24 CHAIRMAN: I remember about 100 years we used to end
25 geometry problems with "QED".

Page 71

1 WITNESS: Absolutely, wonderful.
2 CHAIRMAN: It's almost going back to St Custard's, for those
3 old enough to remember that kind of prep school stuff.
4 So we've got a gallant team who have spent three months
5 doing all of this and QED, nothing, is that it, at the
6 end? I feel very sorry for them if that is in fact the
7 case. Nothing worse than a problem being well done not
8 to be of any benefit at the end. But we'll see if that
9 is in fact the case.
10 15 minutes.
11 Before we do so, I'm sorry, we've left you sitting
12 there all on your own.
13 WITNESS: I would like to leave the room, sir.
14 CHAIRMAN: Dr Glover, thank you very much. It has been of
15 very great help to the Commission, just as the other
16 evidence has been, and may I say, without any disrespect
17 to any of the other experts, it's been a pleasure to
18 listen to your evidence.
19 WITNESS: Thank you, sir. Thank you, Professor.
20 (The witness was released)
21 (11.15 am)
22 (A short adjournment)
23 (11.34 am)
24 COMMISSIONER HANSFORD: Before we commence --
25 MR PENNICOTT: Sorry, with the greatest of respect, the

Page 72

1 government appear to have given up. The government
2 aren't here. I was a little concerned before you said
3 anything, sir.
4 COMMISSIONER HANSFORD: That's good. Thank you.
5 MR PENNICOTT: Perhaps they don't want to hear
6 Prof McQuillan.
7 COMMISSIONER HANSFORD: Can I just raise one point, is this
8 appropriate, or should we wait for the government?
9 MR PENNICOTT: I think we should wait for the government.
10 COMMISSIONER HANSFORD: Yes. Can somebody find them?
11 MR PENNICOTT: Someone has gone.
12 (Bonnie Cheng entered the room)
13 CHAIRMAN: Is Mr Chow coming in?
14 MS CHENG: I think he's in the washroom.
15 (Anthony Chow entered the room)
16 CHAIRMAN: Mr Chow, just to make your embarrassment even
17 worse, let me say we have been waiting for you.
18 MR CHOW: Sorry, I was in the washroom and I have been
19 trying to get a hard copy of the covering letter from
20 the DoJ.
21 CHAIRMAN: I appreciate that. Thank you very much.
22 H O U S E K E E P I N G
23 COMMISSIONER HANSFORD: I have a question for Mr Boulding
24 which I thought I would raise at this point if I may.
25 MR BOULDING: Yes.

Page 73	Page 75
<p>1 COMMISSIONER HANSFORD: Reference has been made extensively 2 to these additional nine tests. 3 MR BOULDING: Yes. 4 COMMISSIONER HANSFORD: It's not clear to me yet when they 5 are going to be done and I think it would be quite 6 useful for us to know. 7 MR BOULDING: Yes, absolutely, sir. I am conscious of the 8 fact that you asked me that question about this time 9 yesterday, and I sought instructions and I'm still 10 waiting for those instructions. I have emphasised how 11 urgent it is and obviously I will get back to you as 12 soon as I've got anything to tell you. 13 COMMISSIONER HANSFORD: Thank you very much. That's 14 helpful. 15 CHAIRMAN: I have just one observation to make as well. 16 Just before the morning adjournment, this question of 17 the calculations by Mannings was raised. While we seem 18 to be agreed that it may not be of any benefit to us, 19 I personally would not like it to slip under the radar, 20 so to speak, so that we would need something a little 21 conclusive as to what we make of or do not make of these 22 calculations, in case we need to at least make mention 23 of it in the report. Maybe we don't but I wouldn't like 24 it just merely to, as I've said, slip under the radar. 25 Mr Chow, perhaps it's a matter you might consider.</p>	<p>1 the not-too-distant future to inspect the areas that had 2 been opened up or that were being opened up. 3 Sir, on that day, you extended an invitation to the 4 independent experts appointed by the parties to 5 accompany Prof McQuillan on his intended inspections, 6 provided that the MTR could make the necessary 7 arrangements. 8 Sir, you stressed on that occasion that the people 9 to carry out the inspection should be the independent 10 experts and nobody else. 11 Sir, after that announcement had been made by 12 yourself, in addition to the MTR, both Leighton and the 13 government indicated that their clients' respective 14 experts would like to join Prof McQuillan on his 15 proposed inspections. 16 Correspondence took place on 12 December in which 17 the MTR were asked to make the necessary arrangements 18 for the site visit, and in particular asked to make 19 arrangements for the inspections to take place by the 20 experts on 17 and 19 December. 21 The MTR, on the following day, on 13 December, 22 informed the Commission's solicitors that the 23 inspections could be arranged as requested, and provided 24 information on the meeting point and the logistics for 25 the site visits. In that communication from the MTR's</p>
Page 74	Page 76
<p>1 You may even put it in final submissions or something 2 like that, almost by way of a footnote, but I wouldn't 3 like it forgotten. 4 MR PENNICOTT: Sir, perhaps I can have a discussion with the 5 government, Mr Chow, and decide the best way of dealing 6 with this. 7 CHAIRMAN: Yes. Thank you. 8 Yes. 9 MR PENNICOTT: Sir, good morning again. Before we come to 10 Prof McQuillan, might I be permitted just to say a few 11 words, essentially for the benefit of the public and 12 perhaps also those reporting these proceedings, about 13 the visits that all the experts made to the station site 14 on 17 and 19 December 2018, and also a little bit about 15 the meeting, joint meeting of the experts, that took 16 place in this building on 18 December, sandwiched 17 between the two site visits. 18 I say that because we've had various references 19 throughout the course of the expert evidence so far to 20 the site visits and to the joint statement. 21 Sir, by way of background, on Day 31 of these 22 proceedings, that is 10 December 2018, the opening-up of 23 the site started. On 11 December 2018, Day 32, both 24 I and you, sir, the Chairman, indicated to everybody 25 that Prof McQuillan would be arriving in Hong Kong in</p>	<p>1 solicitors, it was also suggested that only 2 Prof McQuillan should be permitted to take photographs 3 or videos during the opening-up visits, with the 4 photographs to be made available and circulated to the 5 parties immediately after the visits. 6 Sir, I can say that we thought that that suggestion 7 from the MTR was a sensible one. It was a practical 8 one, because at that stage we didn't want four sets of 9 experts come along with their cameras, taking identical 10 photographs of what they were looking at, end up with 11 lots of sets of photographs, and also, in the process, 12 slow the whole site visit up, and so we agreed -- 13 CHAIRMAN: And also there would have been a safety issue 14 with a large number of people in areas with scaffolding 15 and steel bars and the things around. 16 MR PENNICOTT: Yes. That's absolutely right, sir, because 17 we were also told by the MTR, accurately, that at least 18 some of the opening-up locations were inside the duct 19 and had very limited headroom, which is essentially the 20 point you have just made. 21 On 14 December, the Commission's solicitors informed 22 MTR that Prof McQuillan would attend the meeting point 23 as requested, that's outside Mannings, the retail 24 department store, not the engineers, and he would take 25 his own photographs with his own camera and that the</p>

Page 77	1 photographs taken would be included in the hearing 2 bundles in due course. 3 Sir, importantly, in the same email of 14 December, 4 the experts were invited to attend a joint expert 5 meeting, which I made mention of a short while ago, on 6 Tuesday, 18 December. That is, as I said earlier, 7 sandwiched between the two site visits. And so it was 8 the initiative of the Commission, one, that the site 9 visits took place and two, that the experts should meet 10 jointly. 11 Sir, at that stage, on 14 December, in the morning, 12 we still had four parties with experts on board: the 13 Commission, the government, the MTRC and Leighton. In 14 the afternoon of 14 December, a Friday, we received from 15 China Technology's solicitors a request that Prof Yeung, 16 Prof Albert Yeung, who has given evidence before you, 17 join the inspections that were to take place on the 18 17th, on the Monday. Incidentally, there was also 19 a request that Mr Jason Poon accompany Prof Yeung on 20 that visit. There was a very quick response from the 21 Commission's solicitors, indicating that certainly 22 Prof Yeung could and should attend, if he so wished, and 23 by copying in the series of emails that I have referred 24 to earlier, all the details of where to meet, the 25 logistics, and so forth, were communicated to China	Page 79	1 DVD of the photographs on 17 December -- picked it up on 2 the 18th, that is, of the photographs on the 17th. 3 So far as the second visit is concerned, sir, 4 slightly more detailed, photographs were taken on 5 19 December. They weren't in fact physically taken by 6 Prof McQuillan, for reasons he will explain in a moment. 7 They were taken by Mr Colin Wade who I understand to be 8 one of Dr Glover's colleagues, but Prof McQuillan will 9 explain why that was the case in a moment. 10 More importantly, following the taking of those 11 photographs on the 19th, the parties again were informed 12 that that collection of photographs, which is A1/51 in 13 the bundle, were available for collection from the 14 Commission's solicitors' offices. On 20 December, all 15 parties collected the DVD of the photographs, save for 16 China Technology. 17 For reasons which I can explain in detail but 18 probably don't need to, despite the fact that those 19 photographs were clearly available and made available on 20 20 December, China Technology's solicitors did not 21 collect those photographs of the 19th visit -- they 22 already had the 17th -- until 4 January 2019. As it 23 happens, that was three days before Dr Yeung produced 24 his report to the Commission. 25 So the position is those photographs were available
Page 78	1 Technology's solicitors, and no doubt, I assume, passed 2 on to Prof Yeung. 3 Indeed, on Saturday the 15th -- sorry, I should say 4 that not only was the indication given that Prof Yeung 5 would attend the site visits but also would attend the 6 joint meeting. 7 On the following day, on Saturday the 15th, it was 8 confirmed by China Technology's solicitors that indeed 9 Prof Yeung would go to the meeting point in front of 10 Mannings and that he would also attend the expert 11 meeting. 12 Sir, that is the background to both the joint site 13 visits and the experts' meeting, and I will be asking 14 Prof McQuillan just a few questions about what happened 15 on the joint inspection, particularly on 17 December, 16 and indeed on one or two aspects of what happened at the 17 joint meeting on the 18th, and I'll do that shortly. 18 Sir, but before I conclude, can I just detail this 19 point, that as arranged, on the first visit, that is on 20 17 December, Prof McQuillan did indeed take photographs, 21 a number of them, they are item A1/50 in the bundle, and 22 on 18 December the involved parties were informed that 23 all the photographs were available to the parties on 24 a DVD, upon collection at the Commission's solicitors. 25 All parties, including China Technology, picked up the	Page 80	1 on 20 December to everybody but, so far as China 2 Technology is concerned, they did not collect them until 3 4 January. 4 I mention that because you may have seen, and I did 5 ask Prof Yeung a question about this -- there seemed to 6 be an implicit complaint that he hadn't seen the 7 photographs of the 19th. I have just explained what 8 happened, and I'm afraid, with the greatest of respect, 9 if anybody is to blame, it's not the Commission, it's 10 those instructing my learned friends for China 11 Technology. They had the opportunity to get them on 12 20 December, they had them on 4 January, and they don't 13 appear to have found their way to Prof Yeung. 14 Sir, that is the history of the matter. As I say, 15 I will ask Prof McQuillan a few questions about certain 16 aspects of those in a moment. 17 CHAIRMAN: Thank you. As you have raised these various 18 issues for the information of the public, perhaps you 19 might just say something about the fact that when you 20 have a number of experts who are on behalf of different 21 parties looking essentially to the same issue, it is 22 today not uncommon but is in fact recommended that if 23 possible those experts should get together, share their 24 knowledge, debate issues in contest, and should if 25 possible come to a joint opinion.

Page 81	Page 83
<p>1 MR PENNICOTT: Yes. Well, sir, indeed, that is right, and 2 as I say the initiative for the joint meeting came from 3 the Commission, and I think the hope, if not the 4 expectation, was that if the experts were able to 5 produce a written joint statement, signed by them all, 6 that that would be extremely useful to the Commission. 7 Sir, as we have seen with one or two of the 8 experts -- and I'm going to show, obviously, the joint 9 statement to Prof McQuillan in a moment -- that is 10 indeed what happened. A joint statement, albeit brief, 11 was prepared. It seems to me and I know to other 12 involved parties -- and I think to yourselves, sir -- to 13 be a very useful, helpful document, which just on two or 14 three sheets of paper encapsulate some key points that 15 you will need to consider. 16 So, sir, that's right, and it seemed to me that 17 throughout the course of that process there was no 18 obvious complaint from anybody and that the experts very 19 much worked together and discussed matters at length and 20 came up with this joint statement. Sir, that is, as you 21 rightly say, the normal course of events in standard 22 litigation and arbitration, whether of a construction 23 nature or something very different to that. But that is 24 the procedure that is adopted in Hong Kong on a daily 25 basis in litigation and arbitration, that experts of</p>	<p>1 this jurisdiction and, as Prof Hansford has indicated, 2 in other jurisdictions, in the UK in particular, and 3 it's obviously of enormous help, as it's proved to be 4 here, we would suggest. 5 CHAIRMAN: Yes. Thank you. 6 MR PENNICOTT: Sir, with that, could I then -- good morning 7 or good afternoon, Prof McQuillan. 8 PROF DON MCQUILLAN (sworn) 9 Examination-in-chief by MR PENNICOTT 10 Q. Could I ask you, please, to be given your expert report, 11 which is in file ER1, behind tab 3. 12 Prof McQuillan, is that the front sheet of your 13 report on the screen? 14 A. It is. 15 Q. If you could go, please, to page 11. Is that your 16 signature? 17 A. It is. 18 Q. And this report was prepared and at least dated by you 19 on 6 January 2019? 20 A. Correct. 21 Q. And the report itself runs from page 12 through to where 22 the appendices start at page 49? 23 A. Correct. 24 Q. One of those appendices, Prof McQuillan, is the joint 25 statement of the experts, the agreed expert memorandum.</p>
Page 82	Page 84
<p>1 like discipline should meet and set out what they are 2 able to agree, to assist the court, the arbitrator, or 3 in this case this Commission. And, sir, that is what 4 has happened, following pretty standard practice. 5 COMMISSIONER HANSFORD: Indeed. That's the same practice 6 that's followed in the UK. 7 MR PENNICOTT: Yes, sir. 8 CHAIRMAN: If I might just add one final thing to that, and 9 I made mention to Prof Hansford who sits here as 10 a member of the Commission but obviously has fulfilled 11 other roles in the past, and he himself, as an expert, 12 has attended this kind of meeting, where there is 13 energetic debate, where opinions are expressed, all in 14 an attempt to reach, insofar as it is possible, some 15 agreed approach on matters that relate to the expert 16 evidence. 17 I say that because it would not, therefore, for any 18 of the experts who have appeared, have been a novel, 19 unexpected experience. They would have been expected to 20 get together, to discourse, to debate, to hold their 21 ground where they thought it proper, and to agree where 22 they thought it proper. 23 MR PENNICOTT: Yes. Sir, I wholly endorse those 24 observations. As I say, it's a process that is 25 recognised and has been recognised for many years in</p>	<p>1 That's at appendix XI, which is at page -- let me start 2 with the manuscript -- 120. 3 A. (Nodded head). 4 Q. First of all, Prof McQuillan, can I just ask you this -- 5 I will come back to a few more questions about it in the 6 moment -- is that your handwriting? 7 A. It is, for reasons I shall explain later, and I do 8 apologise for the legibility of it. 9 Q. Right. On page 123, do we see the signatures of 10 yourself and all the other experts? 11 A. That is correct. 12 Q. We can see, if we go back to 117, the transcript or the 13 typed-up version of the joint expert memorandum? 14 A. Yes. 15 Q. Now, Prof McQuillan, insofar as your report and the 16 joint expert memorandum contain matters of fact, do you 17 believe those facts to be true to the best of your 18 knowledge and belief? 19 A. Absolutely. 20 Q. And insofar as your report and the joint memorandum 21 contain matters of opinion, are those opinions honestly 22 held by you? 23 A. Those are my personal opinions. 24 Q. Now, just on the question of the joint -- first of all, 25 I'll deal with the joint inspection, if I may,</p>

<p style="text-align: right;">Page 85</p> <p>1 Prof McQuillan, on 17 December; Monday, 17 December 2 2018. Can you just briefly explain what happened in 3 terms of arriving at the meeting point to the time that 4 you left the MTR office and went to the site? 5 A. Sure. I was taken to the meeting point at the said 6 kiosk by one of the legal team acting for the 7 Commission. We were met -- as far as I recall, there 8 were two MTR members of staff waiting. It was, as 9 I understood, on a first come, first served basis. My 10 recollection, and it might be wrong, is that Colin Wade 11 and Mike Glover were there; Prof Au and Prof Yeung were 12 not there at that stage; one member of the MTR staff 13 took us up to the main meeting room, and within a couple 14 of minutes, as I recall, Prof Yeung and Prof Au arrived, 15 I can't remember if they came together. 16 What then happened was that Neil Ng, if I'm 17 pronouncing it correctly, N-G, of MTR, sat us all down 18 and gave us a briefing, primarily on health and safety, 19 because we were entering an area of the works. He also 20 exhibited the graphics that are now very familiar to us 21 all, in the daily results, showing us where the proposed 22 locations were going to be implemented, and described 23 progress so far that had taken place. 24 We were then issued with our protective equipment, 25 and there were several, quite a number of MTR staff,</p>	<p style="text-align: right;">Page 87</p> <p>1 it's a pretty dusty environment, I was dressed for 2 flying home that evening to Dublin. I would have had no 3 opportunity to change my clothing beforehand, and so, 4 because Prof Yeung and Colin Wade were both going down 5 into the intake, I asked Colin would he mind taking the 6 photographs. So there was a witness to those. Using my 7 camera, I might add. 8 Q. Okay. Thank you very much. 9 Now, one day earlier, the meeting, the joint meeting 10 of the experts, took place, and we've looked at the 11 manuscript version of the joint memorandum. First of 12 all, I understand that there was no agenda for that 13 meeting; is that right, Prof McQuillan? 14 A. That is quite deliberate because it has been my 15 experience that in a forum like that, different people, 16 different experts, will have different issues that they 17 wish to raise, depending on their scope. So, for 18 example, Mr Southward had a more restricted scope, it 19 turned out, than perhaps Dr Glover and myself. 20 What then happened was because I was representing 21 the Commission, and because it had been the Commission's 22 initiative, I offered to act as the informal chair, 23 because for those who aren't aware of the process, there 24 isn't really a formal chair in a meeting of experts. In 25 our jurisdiction, it's normally the expert for the</p>
<p style="text-align: right;">Page 86</p> <p>1 accompanied us. Initially, to go down to whatever level 2 it was, we had to group into two lifts, so we were put 3 into two groups, and when we finally made it down into 4 the tunnel, we were all basically clustered together. 5 Q. Right. So can you just confirm that all five experts, 6 as it were, rendezvoused, met up in the MTR office? 7 A. That's correct, and introductions were obviously made. 8 Q. So there was no question of one expert going off to the 9 site before another; you all went together? 10 A. Absolutely, because that would be breaking the rules. 11 Q. All right. Can I then switch to 19 December, when you 12 had another inspection, and I think it's common ground 13 that on this occasion Prof Au was not in attendance but 14 the rest of you, the four of you, were in attendance? 15 A. That is correct, and in addition we had a member from 16 the legal team who wished to accompany us just out of 17 curiosity, more or less. 18 Q. Okay. That's the Commission's legal team? 19 A. Correct. 20 Q. On that occasion, on the 19th, as I understand it, you 21 didn't take the photographs as you had done on the 17th; 22 is that right? 23 A. Not strictly correct. I took the photographs on the 24 upper side of the EWL slab. We then went down, and when 25 it came to getting into the air duct, you must remember</p>	<p style="text-align: right;">Page 88</p> <p>1 plaintiff, for example, who will fulfil that function. 2 This was a fairly neutral environment, so I offered to 3 just chair informally on behalf of the Commission, and 4 in so doing I offered to write the illegible minute that 5 you have seen, if minutes were to be produced at all. 6 Okay? 7 So I explained the process, in case every there was 8 unaware of it, I stressed the importance of being able 9 to discuss freely and without prejudice anything that 10 anybody wished to raise. I also mentioned the fact that 11 it would be of benefit to the Commission were we able to 12 produce an synoptic note covering the issues agreed. 13 I stressed that we could walk out of there without any 14 sheets of paper or we could walk out with a signed 15 memorandum. There was no objection to any of those 16 points, and so we proceeded. 17 My recollection is that probably Mike Glover took 18 the lead. It ended up as we discussed matters that 19 there were a lots of issues in common that were raised, 20 and at the end of each issue I simply asked those 21 present to help me formulate the key note that is 22 recorded into the memorandum, and they all inputted into 23 that. The only reservation was at item 3 -- and this 24 has been drawn attention to -- where there is a note in 25 brackets. Prof Au felt he would not be at liberty to</p>

Page 89	1 sign it as we had originally drafted unless that 2 particular caveat was inserted. 3 Q. All right. I think that's probably as far as we need to 4 go on that particular topic. 5 CHAIRMAN: I just want to ask one question. 6 MR PENNICOTT: Of course, sir. 7 CHAIRMAN: The meeting where the memorandum was signed was 8 held where? 9 A. It was held in an annex to the court here, in one of the 10 meeting rooms. 11 CHAIRMAN: Over the lunch hour? 12 A. No. We started, from recollection, at maybe 9.30 or 13 10.00, but it proceeded well over the lunch hour. 14 CHAIRMAN: Were you offered any food? 15 A. We were, but the feeling was that we should just push on 16 to completion. 17 CHAIRMAN: That was a general consensus, was it? 18 A. There was no objection to that. 19 CHAIRMAN: All right. Thank you. 20 MR PENNICOTT: Thank you. Now, Prof McQuillan, that's all 21 I have to ask you, but in accordance with what's 22 happened with all the other experts, I understand you 23 would like now to make a presentation, a synopsis of 24 your evidence, and so I will sit down and hand over to 25 you.
Page 91	1 a fellow of the Irish Academy of Engineering. I am 2 a fellow of the Institution of Structural Engineers, the 3 Institution of Civil Engineers, the Institution of 4 Engineers of Ireland, and the Institution of Highways 5 and Transportation, and also the Association for 6 Consultancy and Engineering. In addition to that, I am 7 a member of the Association for Project Managers and 8 I am a member of the Academy of Experts. 9 I am currently senior vice-president of the 10 Institution of Structural Engineers, and God willing, in 11 2020 will be their 100th president. So I look forward 12 to visiting Hong Kong next year on the annual visit. 13 I am also the current chairman of the engineering 14 leadership group in the Institution of Structural 15 Engineers, which is their overarching technical 16 committee. I am also on the editorial board of the 17 journal of the Institution of Structural Engineers, 18 which is called "The Structural Engineer". In fact 19 I joined it way back in 1993 and have been on it ever 20 since and served as chairman from 2000 to 2011. 21 Finally, in respect of my professorship, you will be 22 pleased to note that I do not intend to give the class 23 a lecture this morning, but rather, as I do at 24 university, to bring some practical engineering 25 experience and judgment and indeed a bit of technical
Page 90	1 A. Okay. Presumably you wish me to say a little bit about 2 myself, which I'm reluctant to do. 3 MR PENNICOTT: You are. 4 CHAIRMAN: I'm afraid you are under instructions. 5 A. That is a different matter. 6 So I graduated from Queen's University Belfast in 7 1975 with a first-class honours degree. I immediately 8 joined a local consultancy practice and have actually 9 been with that same company under different guises now 10 for 44 years. It became -- although we were a private 11 practice, we were acquired by RPS, who are a plc group, 12 in 2004. And I have operated at partner/director level 13 now for 30 years, that is since 1989. So that means, if 14 you are doing your maths, I have 44 years' experience, 15 specialising in a broad range of stuff, maybe primarily 16 as structural engineering but specialising in 17 structural, civil, bridge and some marine engineering, 18 and latterly in forensic engineering, and have been 19 investigating and assessing defects and failures in 20 buildings and other structures arising from design and 21 construction and extraneous sources such subsidence, 22 explosions, quarry blasting, et cetera. 23 In terms of professional qualifications, I am 24 a Royal Academy of Engineering visiting professor of 25 engineering design at Queen's University Belfast. I am
Page 92	1 common sense, as I call it, to the table, primarily to 2 assist the Commission by focusing on the relevant issues 3 and breaking down complex technical material into 4 easy-to-understand concepts. 5 I would just like to stress, I am not an academic, 6 I've never been an academic, and really I never want to 7 be an academic, and no disrespect to the other experts 8 who've gone before me who have been higher up the 9 batting order, but I say that to emphasise that I have 10 lived and breathed structures all my professional life, 11 and as a result probably know a little bit about how 12 they behave and work in practice. 13 One point I want to stress: very often, a structure 14 is still standing even though theoretical calculations 15 suggest that it should have fallen down. There are two 16 reasons why this may be. Firstly, most structures will 17 have reserve load capacity in varying degrees. Secondly 18 and more significantly, the discrepancy will always lie 19 in the calculations and more so the assumptions 20 underpinning the analysis. 21 One of my older practice partners many years ago, he 22 was a very experienced but a very practical and yet 23 a brilliant structural engineer, one day he was 24 embroiled in an argument with Building Control -- in 25 your jurisdiction it's called Buildings Department --

<p style="text-align: right;">Page 93</p> <p>1 and they were giving him a hard time on a minor item of 2 code compliance. John looked at them sagely over the 3 end of his reading spectacles and then came up with the 4 immortal words: "Gentlemen, the building does not know 5 which code it was designed to, and no one will be any 6 the wiser unless it falls down." 7 With that, could I have my first slide, please. It 8 goes without saying that I would encourage the Chairman 9 and Commissioner to feel free to interrupt me if 10 something is unclear in my summary evidence. It's very 11 important, I feel, that there is no ambiguity in what 12 I am about to say. 13 So the second slide. No pun intended but two issues 14 need to be decoupled and then prioritised. The first 15 one: are the works safe in accordance with the 16 Commission's terms of reference? And here the 17 consideration I put to you is whether or not failure 18 might or will occur. If the evidence is clear-cut, 19 a definitive opinion can be given rather than just one 20 premised on the balance of probability. 21 A secondary issue then is that of serviceability and 22 durability, et cetera. Here, the consideration is 23 whether or not the completed works will be able to 24 function as intended, without causing distress or damage 25 to itself. My understanding is that this is a secondary</p>	<p style="text-align: right;">Page 95</p> <p>1 starter bars which is where this whole Inquiry focused 2 and began and was in fact precipitated. 3 The invasive investigations are a work in progress, 4 and since opening-up began I have reviewed the results 5 on a daily basis, as have the other experts, and to that 6 topic I will return in a moment. 7 In that context and in accordance with my brief, 8 I then deal with three principal issues. Firstly, the 9 reserve load capacity of the overall structure and its 10 components, otherwise referred to as utilisation which 11 is a term you have heard frequently. I call it reserve 12 load; others have called it spare load capacity. It's 13 all the same thing. That includes the recently issued 14 COWI report, which corroborates the findings of Arup, 15 who in turn have corroborated the work of Atkins, and 16 the COWI report yields even lower utilisation values, 17 which equates of course to a greater reserve of 18 strength. 19 Secondly, the criticality or otherwise of the 20 defectively coupled connections. 21 Then the third principal area I look at: the 22 as-built amended detail of the junction of the EWL slab 23 and the top of the east D-wall. 24 To these I will again return in a moment. 25 I also deal with miscellaneous workmanship and</p>
<p style="text-align: right;">Page 94</p> <p>1 issue in respect of the Commission's terms of reference 2 and has been more thoroughly investigated and actioned 3 under the remit of the holistic proposal. 4 So we need to be clear about what we are dealing 5 with today. Let I say a few things by way of 6 introduction, and this really governs the approach 7 I took to writing my expert report. Number 1, it is 8 a fundamental principle of forensic engineering that one 9 needs to understand the bigger picture before focusing 10 in on the detail, and in this case one needs to know how 11 the overall structure behaves before the criticality or 12 otherwise of its components can be determined. That's 13 a key point. 14 My evidence, therefore, as contained in my report, 15 begins with an explanation of how the extension 16 structure, principally the D-walls, diaphragm walls, the 17 EWL slab, the NSL slab, et cetera, were designed and 18 constructed, including the temporary works. And you've 19 heard a little bit about that from some of the other 20 experts. 21 In conjunction, I take into account the Hong Kong 22 Codes of Practice and other performance specifications 23 which govern the design. Then I outline the research, 24 and that includes practical experiments which were 25 carried out in respect of the couplers and threaded</p>	<p style="text-align: right;">Page 96</p> <p>1 buildability issues, but not in much detail because, as 2 you have already heard, these are all deemed to be 3 reparable using normal techniques. These defects 4 of course include the slab soffit spalling and 5 honeycombing/voiding, they include, for example, the 6 misaligned shear links, gaps at the tops of the columns 7 and piers which were retro-constructed to support the 8 EWL slab. 9 And can I stress for the Commission's benefit, these 10 are not safety issues. These are the secondary 11 serviceability and durability issues to which we have 12 made reference. 13 I then comment and give my opinion on MTR's 14 government-approved holistic proposal and also on the 15 load test which was proposed. I recommend instead that 16 performance monitoring using more sophisticated 17 instrumentation be implemented, even though we do not 18 expect any meaningful results. It's more a calming 19 measure in terms of public concerns about the safety of 20 the works. 21 In respect of the opening-up works, there have been 22 a few rogue examples of coupled connections uncovered, 23 and for reasons I will explain, the one recorded in the 24 bottom of the EWL slab at the east D-wall -- and there 25 is another at the west D-wall -- is however of no</p>

Page 97

1 structural significance. Neither is the one which was
 2 found to be unconnected. I'll explain why.
 3 The one recorded in the top of the EWL slab,
 4 however, could be critical, is of structural relevance,
 5 and the situation, although in my opinion unlikely to
 6 prove problematic, will need to be further investigated
 7 and checked.
 8 COMMISSIONER HANSFORD: Sorry, just to interject on that
 9 point -- that one will need to be further
 10 investigated/checked and potentially require some
 11 remedial action; is that right?
 12 A. It may not. As Dr Glover has indicated, phase 3 of the
 13 holistic approach will be -- on the basis of all the
 14 evidence uncovered will be to do a re-analysis of the
 15 whole structure.
 16 COMMISSIONER HANSFORD: Yes.
 17 A. Because of the high levels of reserve strength,
 18 et cetera, it may be that it's just passed by, of no
 19 relevance; okay?
 20 COMMISSIONER HANSFORD: Okay, thank you.
 21 A. The one point that has not come out in all of this --
 22 well, someone mentioned it but I will stress it -- the
 23 top of slab situation where couplers have been used,
 24 applies to a very limited number of panels, in fact ten
 25 if I'm correct.

Page 98

1 Those are the only ones that were constructed with
 2 D-wall couplers, or coupled to the D-wall with couplers,
 3 if you like. The greatest majority of the panels
 4 throughout the works on the east D-wall are connected
 5 using through-bars.
 6 So I'm pausing for emphasis here to let the message
 7 deliberately sink in: the top of wall coupler
 8 installations are only -- and I stress "only" -- safety
 9 critical in those ten panels. We must keep that in
 10 context.
 11 I move on to the phased array ultrasonic testing.
 12 The results themselves are extremely difficult to
 13 interpret. I would refer you -- you don't need really
 14 to refer to it and it's too small to put on the
 15 screen -- I would refer you to the spreadsheet which has
 16 been circulated. You will probably need your A3 hard
 17 copy if you want to refer to it.
 18 What I've done: I've simply reorganised the data
 19 into the relevant groupings, and as you will see a more
 20 meaningful picture is beginning to emerge. Has
 21 everybody got those?
 22 COMMISSIONER HANSFORD: Thank you.
 23 A. How can readings have a tolerance of plus or minus
 24 3 millimetres and yet be given to two decimal points,
 25 I ask? Dr Glover explained yesterday how the external

Page 99

1 measurement is rather crudely done by marking two lines
 2 on the bar and then using a simple tape measure. What's
 3 wrong with using, for example, a calibrated vernier with
 4 a much higher degree of accuracy? So to me, as
 5 an engineer, it does not inspire a lot of confidence in
 6 the accuracy of those results.
 7 Then how can one or two results, for example,
 8 test 44 be greater than 49 millimetres, bearing in mind
 9 that the bar end length is only 48 millimetres? Does
 10 that mean, for example, that when the tolerance is added
 11 on, the bar could actually be 52 millimetres? I simply
 12 make that point facetiously because I'm making a point.
 13 I've not attempted to analyse the table but the
 14 variability and inconsistency is there to be seen, and
 15 the results are very much open to interpretation, and
 16 Chairman and Commissioner, if I may be so bold as to
 17 give my opinion: these results are potentially unhelpful
 18 and misleading to the public at a time when public
 19 concern needs to be alleviated pending the outcome of
 20 this Inquiry. I pause for effect.
 21 COMMISSIONER HANSFORD: We understand.
 22 A. The table shows, for example, using my groupings, 46 of
 23 the 70 results have an average thread engagement
 24 exceeding 39 millimetres. A further 32 have
 25 an engagement length, according to these results, of

Page 100

1 34 millimetres, and what is possibly striking is that 58
 2 out of the 70 results have 0 to 2 exposed threads, which
 3 is what one would expect to see during a site
 4 inspection.
 5 Can I just explain, sorry, that when I've calculated
 6 the figures used on the spreadsheet, where it's say 0 to
 7 1, I've given the benefit and taken the more
 8 conservative figure of the average, so I've taken half
 9 a thread where it says 0 to 1. Where it says 2 to 3,
 10 for example, I've taken 2.5 threads instead of going to
 11 the 3.
 12 Then if you look at the 0 to 3 exposed threads,
 13 there are actually 68 out of 70, and it would not be
 14 unreasonable, in my opinion, on site for an inspector to
 15 look at three threads and say, "That looks about right".
 16 And then of course only two exposed threads in the
 17 3 to 4 millimetre range, only two out of 70, and I think
 18 that speaks for itself.
 19 Another thing, the phased array ultrasonic testing
 20 readings do not generally give to me any indication that
 21 the threaded bar ends have been cut, because if you look
 22 at the spreadsheet the average bar end length average
 23 values exceed 42 millimetres. Dr Mike Glover has
 24 already explained, and I take it from what I've listened
 25 to him, he's a bit of a psychologist as well: it would

Page 101

1 be incongruous to believe that anybody would actually
 2 take the end of the bar and cut two threads, even three
 3 threads off it, and then put it into a coupler, because
 4 they are not saving time. In fact, they are more than
 5 doubling the length of time it would take to complete
 6 the installation.

7 Then the results also show -- and this is just
 8 an interesting little point which I cover in my
 9 report -- that uncut type B bars have also been used in
 10 lieu of type A bars, which perhaps supports my opinion
 11 on the famous or infamous photograph which you find at
 12 D1/228, found at page 45, paragraph 108 in my report --
 13 I don't think that bar or that picture is indicating
 14 that a type A T40 bar has been cut, because a type A bar
 15 starts off with 10 to 11 threads and the one you see in
 16 the photograph has 13 threads, so if it has been cut
 17 then it must have been a longer bar to start with.

18 COMMISSIONER HANSFORD: Perhaps when we get to your report
 19 which I'm sure will be later this afternoon, we can look
 20 at that.

21 A. Thank you. I have set the marker, as someone has
 22 previously said.

23 Could we move on to the next slide, please. If
 24 a coupled connection is in tension, as in the top of
 25 those ten panels that I have referred to, and only the

Page 102

1 top of those ten panels -- I'm ignoring the fact that
 2 there is the NSL slab at the moment, and for it, it
 3 would be the connections right at the very bottom of it
 4 would be in tension, the couplers -- a 60 per cent
 5 thread engagement, that is six threads, gives a safe
 6 result, as demonstrated, for a fully stressed rebar.

7 It must be highlighted again, however, that the
 8 actually working stress levels in the EWL slab and rebar
 9 at the D-wall connections -- and this is based on the
 10 low utilisation rates which you have heard so much
 11 about -- those stresses are relatively low. That means
 12 that the 60 per cent coupler engagement, or what we're
 13 talking about really is the rebar threaded into the
 14 coupler to 60 per cent or six threads, becomes an even
 15 safer test result and an even safer criterion.

16 There has been a lot of criticism and debate in this
 17 forum about the fact that apparently only one sample of
 18 each partially threaded bar was tested to failure.

19 I need to explain something here by way of
 20 background which no one has touched upon yet. That is
 21 basically to describe how the threaded bar end has been
 22 prepared by BOSA. The bar end is initially crimped. It
 23 is put into a machine with huge pressure which
 24 effectively squashes the ribs, and in effect that, for
 25 any of you that know anything about mechanical

Page 103

1 engineering, and I'm not an expert, but that process
 2 actually, in squeezing the end of the bar, it's called
 3 a process of strain hardening, which actually increases
 4 the strength of the bar overall.

5 Then, unlike some of the cheaper installations that
 6 use to come out of China mainland, and I don't say that
 7 by way of any disrespect, the threads are not cut. The
 8 threads are actually -- again, using a high-pressure
 9 machine, they are actually rolled. So the end of that
 10 bar is, if you like, reworked under very significant
 11 pressure to actually produce rolled threads.

12 The key thing to remember here from the BOSA tables
 13 is that the root diameter, that's not at the tip of the
 14 thread but at the valley, the root diameter of the
 15 thread is 40.5 millimetres, compared with the nominal
 16 diameter of 40 millimetres of the bar itself.

17 That means that the type T2 or the type 2 coupler is
 18 always going to be stronger than the rebar that is
 19 inserted into it, even if fully engaged.

20 Let's return to the BOSA CASTCO test, experimental
 21 test. There has been criticism that the results are
 22 dubious and do not tally with the predicted results
 23 based on the fact that apparently only one bar was
 24 tested. I do not accept that. Remember, please, that
 25 it was not the coupler which was being tested. It was

Page 104

1 the coupler assembly comprising the coupler and rebar
 2 that was being tested -- and I stress -- for different
 3 degrees of thread engagement. It wasn't about testing
 4 the coupler. It was about testing how the rebar would
 5 survive in terms of partial engagement.

6 Just to encapsulate that, at 60 per cent engagement
 7 the coupler held and the bar broke. In other words, the
 8 bar was the weakest link, as intended. At 70 per cent
 9 engagement, the bar was still the weakest link, and
 10 increasing the thread engagement was never going to
 11 increase the load at which the bar broke, very
 12 importantly. So the bar broke again. Likewise, at
 13 100 per cent, the bar was still the weakest link and it
 14 broke at approximately the same load as the other two.

15 So the point I'm making is the coupler stayed intact
 16 for 60 per cent, 70 per cent and 100 per cent, and it
 17 was the bars each time which broke. So although not the
 18 ideal nine samples that Dr Glover has been mentioning,
 19 we have in fact three samples. And if you wanted to,
 20 and I'm not proposing we take the time to do it, if you
 21 call up Prof Yeung's very helpful graph which showed the
 22 experimental results versus the actual, you will
 23 actually see in that horizontal band which he has drawn
 24 those three, if I remember correctly, hollow circles
 25 that he has drawn. Those give you three sample results

<p style="text-align: right;">Page 105</p> <p>1 for a bar. So please don't tell me that there was only 2 one sample tested. And those three bars actually broke 3 at an average or a mean value at 864 kilonewtons, which 4 equates to 67 megapascals. 5 Actually, Prof Au's record, when asked, he helpfully 6 confirmed -- and you will find this, if you want to, I'm 7 not proposing you turn to it, but the transcript of 8 Day 41, page 28, lines 9 to 15 -- that a minimum of 9 three samples was deemed to be acceptable. I put it to 10 the Commission that the test is therefore reliable. 11 Dr Glover has given his opinion on that. 12 So what about the other two coupler tests demanded 13 by the QSP, for example, the quality supervision plan? 14 The permanent elongation test relates only to 15 serviceability. I stress again, if you keep my opening 16 slide in context, it's not a safety issue, it's simply 17 a serviceability issue, and we have to, again pardon the 18 pun, decouple both of those. 19 To put it into context, what 0.1 millimetre looks 20 like -- and I wrote my script before I heard Dr Glover; 21 he likened it to the width of a human hair -- it's 22 actually less than the width of a sheet of normal paper. 23 That's the width of crack you're talking about if it 24 were to form. 25 The rebar working stresses are relatively low</p>	<p style="text-align: right;">Page 107</p> <p>1 are never going to strain to 0.1 of a millimetre. 2 COMMISSIONER HANSFORD: That's clear. 3 A. Thank you. Then even if such cracking were to take 4 place on site due to elongation, Dr Glover has explained 5 that the tests are done in the open. When the couplers 6 are encapsulated in concrete, they don't actually behave 7 that way, but even if 0.1 millimetre were to occur, that 8 cracking would be evident, and you've heard from the 9 other experts that they have inspected the structure, 10 like me, and to me, I have seen no evidence of any 11 cracking. 12 The other thing to keep in mind is that even if 13 cracking did occur, it's in a dry environment, and so it 14 doesn't become a durability or a serviceability issue. 15 Might I say, every structure, every house has cracks. 16 It doesn't mean that they give any rise for concern 17 whatsoever. 18 So I'm suggesting that elongation testing and 19 partially threaded coupler assemblies is not really 20 relevant in context. 21 That brings us to the issue of the cyclic loading 22 test, and I think there has been a good deal of 23 misunderstanding on this point. It's not a matter of 24 subjecting the coupler assembly to a fluctuating load, 25 as occurs with any structure and which will occur with</p>
<p style="text-align: right;">Page 106</p> <p>1 because the utilisation is low and you've heard that to 2 effect the elongation test, you actually have to stress 3 the bar up to 0.6, if I'm not correct, of its 4 characteristic value. So that's quite a large level of 5 stress. The bars in this installation are working 6 nowhere near to that level. 7 COMMISSIONER HANSFORD: When you say you have to stress it 8 up to 0.6, if you are not correct. 9 A. I'm going from memory, sir. I'm merely sure -- 10 COMMISSIONER HANSFORD: You mean if you're correct? 11 A. Yes, the -- 12 COMMISSIONER HANSFORD: What if you're not correct? 13 A. The elongation test, from memory, is 0.6 of the 14 characteristic -- 15 COMMISSIONER HANSFORD: Sorry, Mr McQuillan, I may be 16 picking you up on a little bit of Irish there, because 17 you said "if I'm not correct". You meant if you were 18 correct, did you? 19 A. All right. I was expressing doubt, sir, as to whether 20 I was remembering 0.6 correct, whether it's 0.6. 21 COMMISSIONER HANSFORD: Now I understand. 22 A. The point I'm simply making is that to perform that 23 test, you stress the bar to a fairly high level, and 24 because of the utilisation values in this job, the bars 25 will never be subjected to that level of stress, so they</p>	<p style="text-align: right;">Page 108</p> <p>1 the passage of trains. Rather, it's very important to 2 point out that it involves load reversal. So it's not 3 a matter of the stress going from A to B and up to C and 4 down to A again. What we are talking about here is the 5 bar is being subjected to alternate cycles of 6 compression and then tension. So you are pulling the 7 bar, then you are squeezing it, and then you are pulling 8 it again and then squeezing it again, and then you take 9 it to destruction. 10 So, you know, to me, as I understand it, this is 11 a test against fatigue failure. Let me explain the 12 concept of fatigue. If you take a wire coat hanger, 13 I don't know if you have them anymore, but if you go 14 into a laundry or a laundrette, they will give you your 15 shirt back or whatever it is sometimes on a wire coat 16 hanger. If you take that wire coat hanger and simply 17 bend it back and forth, bend it back and forth, there 18 comes a point when all of a sudden it snaps. That's 19 called fatigue failure. It occurs when the specimen is 20 subjected to first of all compression and then tension, 21 compression/tension, so it's not that the stress is 22 fluctuating, it's actually reversing. 23 Again, it needs to be highlighted that for the 24 3 metre thick slab -- I'm going to stand here -- I'm 25 just under 2 metres tall, so put another half of me on</p>

Page 109

1 top, that's 3 metres. It's a huge, enormous slab. To
 2 experience that sort of load reversal, that huge, thick
 3 slab has to bend upwards against its own self-weight,
 4 and that simply will never happen. Please do not try to
 5 tell me in theory that it might.
 6 You have heard Dr Glover's evidence that underground
 7 structures have proved to be little effected in seismic
 8 events, and in addition I again stress that the levels
 9 in the rebar are relatively low and will never approach
 10 yield value.
 11 So in relation to the coupler issue the arguments of
 12 whether or not 60 per cent is an acceptable criteria are
 13 therefore irrelevant from a structural perspective.
 14 I could use the 60 per cent criterion, but
 15 significantly, of the 14 tests done to date on the top
 16 EWL slab -- and I'm stressing again that's the only key
 17 area in which I'm interested from a structural safety
 18 perspective -- the lowest embedment is actually
 19 80 per cent. So instead of just taking the minimum
 20 acceptance criteria of 60 per cent, which is six
 21 threads, I've actually just taken that lower-bound value
 22 of whatever it was, 32 millimetres engagement rather
 23 than -- sorry, of 32 millimetres embedment. So what
 24 I've done is taken off the two threads for the chamfer
 25 and I've ended up at my acceptance criteria -- sorry, it

Page 110

1 was 34 millimetres, if you look at the bottom, which
 2 I call the safe criterion, I took off the 2 millimetre
 3 thread and have ended up with 32, which I'm saying is
 4 75, and very arbitrarily -- because the Highways
 5 Department have chosen theirs arbitrarily at 37 -- I'm
 6 just conservatively choosing my criterion, to make the
 7 point, of 75 per cent.
 8 COMMISSIONER HANSFORD: But you are telling us, are you
 9 Prof McQuillan, that it could be lower than that?
 10 A. 60 per cent I'm quite convinced, for reasons already
 11 stated, is safe. I'm just making the point that to go
 12 a little safer, let's see what happens.
 13 COMMISSIONER HANSFORD: At 75 per cent?
 14 A. At 75 per cent.
 15 Perhaps we could move on to slide 4, please.
 16 Remember I'm focusing here on the safety-critical
 17 tension bars and only the ten panels. Maybe the
 18 operator could scroll it down so we are just hiding the
 19 bit that says "compression".
 20 Under the government criterion of 93 per cent, those
 21 safety-critical bars -- leave it like that; we have made
 22 the point -- the government are only experiencing two
 23 failures in the 14 samples tested. Using my safe
 24 criterion, all 14 pass, and of course that means that
 25 the minimum 60 per cent criterion also passes. That

Page 111

1 of course is very good in context.
 2 The one rogue value at the top slab has been
 3 discounted, because it is atypical, for reasons
 4 explained.
 5 Then the table also shows that up to 14 January this
 6 year, for couplers in compression, but they will be
 7 deemed to be in tension for code compliance -- we will
 8 come to that in a moment -- on my conservative estimate,
 9 55 pass and five fail. On the minimum criterion,
 10 59 pass, one fails. But the government's very
 11 conservative value, they get this 50 per cent failure
 12 ratio, that's in the compression couplers, and you can
 13 see the tally, the total, at the bottom.
 14 Now, if I were to include the results of 16 January
 15 which arrived too late for my script, just keep an eye
 16 on those figures on the chart, on my conservative
 17 75 per cent criterion, this time it's 60 pass and five
 18 fail; on the minimum criterion, 64 per cent but one
 19 fails; and on Highways Department criterion, 43 pass and
 20 22 fail.
 21 I'm not a betting man but if I was, I would put
 22 a bet on the fact that the more results become
 23 available, it will only get better, from my perspective.
 24 I'm nearing conclusion. My evidence concludes that
 25 the structures have a high reserve capacity and are

Page 112

1 generally only working at less than 50 per cent, as
 2 you've heard. In such situations, workmanship and other
 3 minor defects tend not to be of any structural concern,
 4 safety concern. Under normal loading, the zones at the
 5 bottom of the EWL slab -- and of course, as I've said,
 6 that applies to the top of the NSL slab -- so at the
 7 junction with the D-walls, those connections or those
 8 zones are always in compression.
 9 Maybe we could turn to my famous slide 5, please,
 10 which has already been used. So what we're looking at,
 11 at the bottom left and bottom right, are what I call the
 12 slab bottom compression zones. Bear in mind this slab
 13 is never going to reverse, the stresses are never going
 14 to reverse, so those zones are always and only going to
 15 be in compression.
 16 From purely a structural performance perspective --
 17 and by that I mean catering for bending and shear -- in
 18 the EWL slab, no rebar is therefore required at the
 19 bottom, where it interfaces with the D-wall connection.
 20 You could sever the reinforcement and the slab would
 21 still carry the load as intended. It wouldn't exceed
 22 its bending capacity; it wouldn't exceed its shear
 23 capacity.
 24 So it follows, therefore, that if no rebar is
 25 required from a structural performance point of view, in

Page 113

1 that zone and across the interface, then no couplers are
 2 needed. This is a very key message. In other words,
 3 every coupled connection in that zone could either be
 4 defective or missing. And again I'm pausing to let that
 5 sink in. You don't need any couplers there for the slab
 6 to perform structurally.
 7 However, there is the question of code compliance
 8 and we must never forget that. The code requires that
 9 some 50 per cent of the rebar -- requires 50 per cent of
 10 the rebar continuity across the interface from the slab
 11 bottom into the D-wall. It also, therefore, follows
 12 that only 50 per cent of the coupled connections could
 13 either be defective or completely missing. Let me
 14 repeat that by way of emphasis. To comply with
 15 structural safety and slab performance, you need zero
 16 connectors running across that interface, you need zero
 17 couplers, but to be code compliant you need 50 per cent
 18 of what's there at the moment.
 19 Bearing in mind that those couplers are always in
 20 compression, the ones that are there, and you've seen
 21 the results, it speaks for itself.
 22 I would also make the point, and it already has been
 23 made, that there is an over-provision of bottom steel
 24 reinforcement. So even though at the moment there are
 25 three or four layers carrying through, it only -- it

Page 114

1 could have been a lot less, actually.
 2 Could we move on to slide 6, please, and we are
 3 starting our sequence now on the as-constructed top of
 4 D-wall detail. Again, I concur with the opinion that
 5 you've heard from at least two other experts that the
 6 amended as-built connection at the top of the EWL slab
 7 and east D-wall is as good as, if not better, than the
 8 original detail in terms of both the amount of tension
 9 rebar and also the ease of construction.
 10 I want to make a very important observation here.
 11 The connection has to be in equilibrium, otherwise it
 12 fail. It would have failed previously if it wasn't in
 13 equilibrium. It's a basic scientific principle and one
 14 that is not easy to grasp. We are all sitting on chairs
 15 at the moment. The fact that our backsides are not on
 16 the floor is because the chair is in equilibrium. It's
 17 simple. We are all moving from hip to hip, backwards
 18 and forwards when we stand up, we are subjecting the
 19 chair to different internal stress levels. But it
 20 doesn't collapse because the whole system is in a state
 21 of equilibrium. I hope that message has filtered
 22 through.
 23 This connection is performing as intended, otherwise
 24 it would have failed. So although U-bars were not
 25 installed in the top of the D-wall, it should be noted

Page 115

1 that the vertical D-wall or rebar still remains and
 2 projects through the CJ interface as shown.
 3 Next slide, please. This shows one of the very
 4 first photographs that we witnessed. I think this one
 5 was on the 19th, and I obviously took that one. It's at
 6 the top of the EWL slab at location E44, and please
 7 ignore the fact that couplers are shown here; it could
 8 equally be through-bars.
 9 It's an interesting photograph, I'll diversify for
 10 a moment, because the one rogue bar, as we call it, on
 11 the top, as shown on the left, where nine threads are
 12 shown, and you will see quite obviously from the
 13 shininess that they were damaged. So the implication is
 14 that they must have been pouring concrete and they
 15 couldn't get this one screwed in and so they just left
 16 it. That's my explanation.
 17 It also, by way of diversification, shows another
 18 interesting feature. You will see at the bottom two of
 19 the lapping bars, and they are actually stopping short
 20 of the inside wall of -- the inside face of the D-wall,
 21 and what you are seeing -- and we will go to the next
 22 photograph, please -- are three of the near wall of the
 23 diaphragm wall, you are seeing three of those vertical
 24 bars. Those actually appear to me as being T50 bars and
 25 they are at 150 centres.

Page 116

1 What you can't see, obviously, are the multiple
 2 layers of vertical bars sitting further back at the
 3 outside face of that D-wall.
 4 Next slide, please. This is a schematic of what the
 5 blue concrete tries to do, and those of you who have
 6 read my report will note the IKEA analogy, the IKEA
 7 furniture analogy. The concrete block in blue is trying
 8 to rotate because of the imbalance of the loading, is
 9 trying to rotate off the top of the D-wall. Prof Au has
 10 explained this in a different way using his free body
 11 diagrams, and likewise Mr Southward came at it and he
 12 had a different way, but this to me is logical.
 13 Next slide, please. However -- and this I think is
 14 a criticism of some of the other ways of looking at
 15 it -- the EWL and OTE slabs are locked into the D-wall
 16 by virtue of their bottom rebar. So you see the
 17 continuity of the bottom reinforcement in each of those
 18 slabs locking into the very intense reinforcement cage
 19 of the D-wall.
 20 So those two, that block of blue, cannot rotate
 21 because in order to rotate, the right-hand slab has to
 22 try to lift and the bottom slab has to try to go down as
 23 per the previous diagram.
 24 Next slide, please. The bottom -- the block of
 25 concrete sitting on top of the D-wall -- the interface,

Page 117

1 by the way, represents the construction joint -- the
 2 block of concrete is effectively locked against sliding
 3 sideways. It cannot slide, unless of course you shear
 4 the vertical bars or the bearing pressure between the
 5 bars and the concrete becomes really excessive, in which
 6 case the concrete block would burst.
 7 So what's happening is, because that block is
 8 locked, the two slabs, if they were not reinforced,
 9 would try to rotate as shown, and tension cracks would
 10 develop at the two upper interfaces.
 11 Go to the next slide, please. That is prevented
 12 from happening by virtue of the fact that the top rebar
 13 pulls the whole lot back and prevents the two
 14 independent pieces of slab from trying to fall apart.
 15 What I'm really drawing attention to is the fact that
 16 the vertical rebar is acting as a dowel, to prevent this
 17 sideways slippage of the blue block sitting on top of
 18 the red block. Very helpfully again, I'm quoting
 19 Prof Au -- you don't need to turn to it but the
 20 reference is transcript of Day 40, page 145, lines 16
 21 to 21 -- he actually proposed the retro-installation of
 22 dowel bars, vertical dowel bars, as a remedial measure
 23 to prevent the sliding happening if he found the shear
 24 stresses were excessive.
 25 So I put it to the Commission --

Page 118

1 CHAIRMAN: Sorry, if he found the shear stresses to be
 2 excessive -- his first way of determining that would be
 3 by way of mathematical calculation --
 4 A. Yes.
 5 CHAIRMAN: -- in terms of the systems that he will or has
 6 proposed?
 7 A. Yes, and then if he found those stresses to exceed the
 8 permissible levels, he recommended that one way of
 9 remediating that would be to retro-install these
 10 vertical dowel bars. So I'm putting it to the
 11 Commission that there are ample steel dowel bars already
 12 existing to resist the potential for slippage across
 13 that interface, in other words the construction joint.
 14 I put it to you that there is therefore no residual
 15 concrete stress at the CJ interface.
 16 COMMISSIONER HANSFORD: Does it therefore follow that if
 17 Prof Au's calculations were to show the need for dowel
 18 bars, they are already there?
 19 A. They are already there. That's the point I'm making.
 20 You have this single layer in the front face and I think
 21 there's three layers in the back face.
 22 COMMISSIONER HANSFORD: Yes. Consequently, if his
 23 calculations demonstrate that there's a dowel action
 24 necessary, there's no remedial work required because
 25 it's already there?

Page 119

1 A. Correct.
 2 COMMISSIONER HANSFORD: Thank you.
 3 A. What I understand his calculations are not doing is
 4 taking into account the dowel effect of the rebar in the
 5 bottom of each of those slabs locked into the D-wall to
 6 prevent them from lifting. So the only way -- I know
 7 it's a difficult concept to understand -- that the block
 8 of blue on top of the D-wall can be subjected -- or the
 9 interface can be subjected to any type of stress is if
 10 the rotational movement actually begins to occur.
 11 So you could get -- if we could go back to the
 12 previous slide for a moment. What would happen, that
 13 little block of blue -- and I'm pointing at a screen
 14 that's not meaningful, but at the right-hand side, it
 15 would try to lift, the left-hand side adjacent to the
 16 EWL slab would try to compress, and so the concrete at
 17 that little corner of the red bit would be subjected to
 18 high compressive stress, which is I think what he's
 19 talking about, and of course it would try as it's
 20 lifting to try to slide on the interface as well.
 21 COMMISSIONER HANSFORD: Yes.
 22 A. So the secret is you've got to hold down that block.
 23 Now, the point has been made during
 24 cross-examination that there is not adequate anchorage
 25 length in the right-hand bar to prevent the blue block

Page 120

1 lifting at that side. Well, go to my next and then the
 2 next slide, please. That one, which is the famous one
 3 you have seen as well.
 4 What I'm putting to you is that that blue block,
 5 adequately reinforced, is actually being held down by
 6 virtue of the horizontal dowelling, it's prevented from
 7 doing anything sideways by virtue of the vertical
 8 dowelling, and therefore I'm using the expression the
 9 top of the D-wall is actually capped. "Encapsulated"
 10 would be a better word. Prof Au misinterpreted that,
 11 using a different concept we use in structural
 12 engineering, and he thought I was referring to the need
 13 to post-tension it, which is actually inducing
 14 compression into it, to hold it together.
 15 Okay. It again needs to be emphasised that the EWL
 16 slab, by the way, has a dead to live load ratio of
 17 approximately 90 to 10. So 90 per cent dead load that
 18 it's already been subjected to. And in fact, as
 19 Dr Glover has emphasised, the situation is now actually
 20 better, because originally the big 3 metre slab was
 21 free-spanning. Now, because internal walls and piers
 22 have been introduced which are taken down to the NSL
 23 slab and hence into foundations, the situation is
 24 actually vastly improved and I think we mustn't lose
 25 sight of that fact; it's even safer.

Page 121

1 It has been functioning now for some three years,
 2 and it's even carried trains under test conditions,
 3 under commissioning. If it was going to fail, it would
 4 have already failed, is my postulation, and if the
 5 internal stresses are so high as claimed, there would be
 6 signs of distress and cracking very evident. No sign of
 7 slippage or bearing overstress, by the way, was evident
 8 in the photographs we saw and in the actual site
 9 inspection at location E44.

10 You'll pleased to know I'm on my final page. On the
 11 basis of that, I also put it to the Commission that this
 12 call for calculations is therefore both pedantic and
 13 unnecessary. It has been apparent that the two experts
 14 who have gone immediately before me are of the same
 15 opinion. It reminds me of the quip: if you ask
 16 an accountant what is the result of 2 plus 2, the answer
 17 that the accountant might give you, "What would you like
 18 the answer to be, sir?"

19 COMMISSIONER HANSFORD: I used the same quote to the
 20 Chairman earlier, but I actually used the term
 21 "a management consultant" rather than an accountant.
 22 But I think it's the same.

23 A. We can group both breeds together for the purpose.
 24 I know it sounds a little bit flippant but the point
 25 I'm trying to make is it all depends on the assumptions

Page 122

1 you make and that's how I started my presentation today.
 2 You have all understood or begun to understood
 3 a little bit about the complexity of this joint
 4 mechanism and also the complexity of the arguments which
 5 I don't even pretend to understand in full. So I put it
 6 to the Commission even more importantly that if the
 7 Buildings Department -- if the government feels that
 8 this is an issue they have to put to bed, if they
 9 seriously doubt the safety of this connection -- and
 10 none of the rest of us do -- I suggest that they bite
 11 the bullet and instead of going endlessly in circles,
 12 issuing calculations and the rest of us trying to review
 13 them and analyse them, let the government commission
 14 a proper finite element modelling analysis of this
 15 joint. That's the only way it's going to please
 16 everybody, it's the only way it's going put the issue to
 17 bed, and because they are the ones with concern, let
 18 them pay for it.

19 Personally, I consider it to be a complete overkill
 20 and a total waste of resource, and I'm happy to declare
 21 my opinion is the connection is safe.

22 Next slide, please. My summary conclusions. The
 23 structures as-built, despite the specific coupler
 24 non-compliance issues and the more general workmanship
 25 defects, are safe and overall structural integrity has

Page 123

1 not in any way been compromised. That is the key
 2 message.

3 Next slide, please. Moreover, code compliance has
 4 been met in terms of the serviceability requirement.

5 Next slide, please. Based on the test results to
 6 date, it is highly unlikely -- in fact I would even
 7 score that out now and I would write it is highly
 8 improbable -- that further opening-up will alter my
 9 opinion.

10 The last slide, please. However, I feel very
 11 strongly that public safety concerns should or might be
 12 allayed by performance monitoring. I have already
 13 explained that because of the juxtaposition of the
 14 structure and the railway lines running on it and all
 15 those things, and the fact that it has already been
 16 significantly loaded under deadweight, we do not, as
 17 experts, anticipate that any meaningful results will
 18 arise out of this monitoring. But I think to tell the
 19 public that it's there and being done and to let them
 20 know that we don't expect a great degree of significance
 21 in the results, I think that is as much as we can do or
 22 the Commission or the government can do to try to
 23 alleviate public concern.

24 COMMISSIONER HANSFORD: And that point on structural
 25 monitoring I think is common amongst the experts, and

Page 124

1 I think the point about -- the caution, if you like,
 2 with any structural monitoring, being clear that no
 3 movement is expected to be shown has been made very
 4 strongly by Dr Glover already.

5 A. I think I also press the message home that if the
 6 government persists in carrying out a load test, I think
 7 again it's a total fallacy and waste of resource.
 8 I think this is a much more effective way of dealing
 9 with it, and I opine that in my report.

10 So that concludes my summary evidence. Thanks very
 11 much for listening.

12 CHAIRMAN: Good. Thank you.

13 MR PENNICOTT: Sir, I just have one question or one small
 14 topic that I wanted to discuss with Prof McQuillan. It
 15 won't, I think, take more than a couple of minutes, and
 16 it might be probably fair to everybody else if I finish
 17 the examination-in-chief, as it were.

18 CHAIRMAN: Yes.

19 MR PENNICOTT: So that if anybody wants to pick up on this
 20 last point -- it is actually something that
 21 Prof McQuillan touched upon in his presentation and
 22 Prof Hansford posed a question but without going to the
 23 photograph itself.

24 Prof McQuillan, in paragraph 108 of your report,
 25 that's at page 44 of your report --

Page 125

1 COMMISSIONER HANSFORD: Ah, yes.
2 MR PENNICOTT: -- you make mention of the photograph at
3 D1/227 and 228, the photographs at those pages -- just
4 in case nobody else asks you about it, I'll ask you
5 about it -- you have appended, and I don't know if this
6 is good enough, at appendix IX of your report, that's at
7 page 107.
8 Prof McQuillan, can you just explain by looking at
9 the photograph and I think the annotations that you have
10 put on there the point you are seeking to make?
11 A. Yes. It's quite simply this. The allegation has been
12 made that that demonstrates that a T40 type A bar was
13 being cut. First of all, the point I'm making is that
14 a type A rebar has only 10 to 11 threads. The other
15 point I'm making is that the blade of the band saw, the
16 hacksaw, is actually below the level of the axis of the
17 bar and even the bottom of the bar. So it demonstrates
18 to me that if the bar has been cut, it has already been
19 cut, it's not about to be cut, and it has to mean, by
20 implication, that that is a type B rebar, T40, which has
21 20 threads on it, and for some reason, whatever reason,
22 someone has actually decided to cut it to use it for
23 a different purpose.
24 So my postulation is that it has been cut from
25 20 threads down to 13. It cannot have been a type A

Page 126

1 rebar which only starts with 10 to 11 threads. Have
2 I made my point?
3 MR PENNICOTT: Yes, you have.
4 COMMISSIONER HANSFORD: And while you are there, in your
5 paragraph 108, you go on and you say --
6 A. Could we have that back, please?
7 COMMISSIONER HANSFORD: Yes. I think that last phrase of
8 your paragraph 108, perhaps you'd just like to explain
9 that as well. At the top of the page --
10 A. Is that at the top of the next page, 45?
11 MR PENNICOTT: That's it.
12 A. Yes. So what I'm saying is if that was going to be
13 used, for example, to be screwed into a normal coupler,
14 there would be no structural compromise, because you
15 would have more threads showing than normal.
16 But I was actually here in the back room listening
17 to Mr Paulino Lim giving his evidence. He was stressing
18 that it's not in accordance with their quality
19 procedures. That's the only point I make.
20 COMMISSIONER HANSFORD: I think what Mr Paulino Lim said --
21 and of course we can go back to the actual words -- was
22 that it's not recommended but nevertheless it would not
23 cause a problem.
24 A. Okay. Then he's concurring with what I just said.
25 COMMISSIONER HANSFORD: I can be corrected on that if the

Page 127

1 transcript says something slightly different.
2 A. I think you are correct, sir, because I have taken the
3 same meaning from what he said.
4 COMMISSIONER HANSFORD: Thank you.
5 MR PENNICOTT: Sir, that was my only point. So after lunch,
6 I think it's just -- certainly the government and China
7 Technology, and Leighton, who wish to ask Prof McQuillan
8 some questions.
9 CHAIRMAN: Good. Sorry, give me -- it's government, China
10 Technology and Leighton?
11 MR PENNICOTT: Yes.
12 MR SHIEH: We will reflect on whether we now still need to
13 ask any questions, given the very helpful presentation
14 by Prof McQuillan. So there's a real probability that
15 we won't be asking anything.
16 CHAIRMAN: Thank you. And Mr Chow, could I ask you?
17 MR CHOW: Sir, at the moment I'm thinking about close to one
18 hour of questioning, because I need to clarify with
19 Prof McQuillan on a few aspects.
20 CHAIRMAN: Good.
21 Yes?
22 MR SO: Sir, I would be very surprised if I exceed
23 30 minutes, but of course it's subject to what Mr Chow
24 has, what transpires.
25 CHAIRMAN: So we are looking at probably two hours.

Page 128

1 MR PENNICOTT: Sir, on that basis, I think we can probably
2 take the lunch break until 2.15.
3 CHAIRMAN: All right. So we will adjourn until 2.15, on the
4 basis that if we are going to overrun a little, we
5 already have a warning order for 6 o'clock.
6 MR PENNICOTT: And Prof McQuillan will be given the usual --
7 CHAIRMAN: Yes, Prof McQuillan, please forgive me. I didn't
8 mean to leave you stranded either. Of course, now that
9 you are giving evidence, you are not entitled to discuss
10 that evidence until it is completed.
11 WITNESS: Fully understood.
12 CHAIRMAN: -- with any other third party.
13 WITNESS: Understood, sir.
14 CHAIRMAN: Thank you.
15 (1.08 pm)
16 (The luncheon adjournment)
17 (2.18 pm)
18 MR BOULDING: Good afternoon, sir. Good afternoon,
19 Professor. I am happy to say I am now happy to respond
20 to Prof Hansford's query relating to MTR's proposed
21 testing programme.
22 The intention is to carry out a testing programme
23 the objective of which will be to establish fitness for
24 purpose as opposed to code compliance.
25 The intention is to carry out nine tests on

Page 129

1 60 per cent engagement of the rebar into the coupler,
 2 and the proposed timetable is as follows.
 3 The testing procedure is currently under
 4 development, but on or before 28 January the intention
 5 is to issue the test proposal to Highways, Railway
 6 Development Office and government, for review and
 7 comment. It's hoped that they will come back quickly so
 8 that the test proposal can be finalised by 31 January;
 9 that's the ambition. On that basis, on 1 February, the
 10 tests will be conducted in both the MTR laboratory and
 11 an independent laboratory, and government will be
 12 invited to witness the tests. On that basis, it is
 13 anticipated that by 4 February 2019, the tests will be
 14 complete and the laboratory test reports on those tests
 15 available.
 16 I hope that has answered your query, Professor.
 17 COMMISSIONER HANSFORD: It has, thank you very much. Just
 18 a clarification. You said in MTR and an independent
 19 laboratory. Does that mean some in one and some in
 20 another? It may be a detail I don't need to know.
 21 MR BOULDING: Those behind me will have heard that and no
 22 doubt I will get another note.
 23 COMMISSIONER HANSFORD: Actually, I'm satisfied with the
 24 answer.
 25 MR BOULDING: Thank you.

Page 130

1 MR PENNICOTT: At some point, not necessarily now, perhaps
 2 Mr Boulding could take some instructions on whether the
 3 tests are being done on a 460 or a 500 bar.
 4 COMMISSIONER HANSFORD: Yes.
 5 CHAIRMAN: While we are on that subject, will we learn
 6 whether what was actually installed were 460 or 500?
 7 Because I still remain a little confused as to --
 8 MR PENNICOTT: Yes.
 9 COMMISSIONER HANSFORD: We think that's a question probably
 10 for Leighton and possibly for Intrafor, don't we?
 11 MR PENNICOTT: Yes. Obviously the two parties can speak for
 12 themselves. It is the case that Intrafor have given us
 13 some further documents, not many, I hasten to add, just
 14 one or two documents, which suggest, so far as the rebar
 15 in the diaphragm walls is concerned, certainly the
 16 requisition orders that I have seen -- there are only
 17 a couple of them, not very many -- refer to 460.
 18 That of itself is perhaps not definitive but it's
 19 certainly an indication.
 20 CHAIRMAN: Of course.
 21 COMMISSIONER HANSFORD: It's what they ordered.
 22 MR PENNICOTT: It's what they ordered. Whether it's what
 23 they got or what they put in, I have no idea.
 24 COMMISSIONER HANSFORD: Okay.
 25 CHAIRMAN: Thank you.

Page 131

1 Yes?
 2 MR SHIEH: Some questions from Leighton.
 3 CHAIRMAN: Sure.
 4 MR SHIEH: Can I just deal with the question about which
 5 grade of bars were used? We have been taking
 6 instructions but the reason why we have not formally
 7 responded is because, as the Commission will know, the
 8 period in question is a period of transition, and
 9 therefore there would be a good deal of people maybe
 10 thinking, "We thought we were doing it as per grade 460
 11 but it may well be that 500 is really provided" and
 12 people would have to get down to not just by reference
 13 to what they think they are building but what in fact
 14 has been supplied, which is a different factual
 15 question, and we don't want to shoot until we are ready.
 16 CHAIRMAN: Yes. Thank you.
 17 Cross-examination by MR SHIEH
 18 MR SHIEH: Good afternoon, Prof McQuillan, I represent
 19 Leighton and I just have a few questions to explore with
 20 you.
 21 The reason why I ask these questions is because so
 22 much has been written or publicised about the incident
 23 in the station out there to the lay public, and this
 24 really is the first time that the public, and more
 25 importantly the media who report these proceedings to

Page 132

1 the public, have had a proper chance to hear from what
 2 the Commission's expert has to say.
 3 I know you paused on numerous occasions for effect,
 4 obviously thinking that it is important that the message
 5 that you are trying to convey gets properly absorbed so
 6 that anyone who wants to report what you say actually
 7 understands what you are trying to say. This is what
 8 I am trying to do, trying to make sure that I have
 9 understood what you are trying to convey properly and
 10 correctly.
 11 This morning, at transcript [draft] page 99 --
 12 I don't think we need to turn it up -- but you said --
 13 you referred to the results, the day-to-day opening-up
 14 results, that have been released, and in your words:
 15 "... if I may be so bold as to give my opinion:
 16 these results are potentially unhelpful and misleading
 17 to the public at a time when public concern needs to be
 18 alleviated pending the outcome of this Inquiry."
 19 Then you said, "I pause for effect".
 20 Can I just suggest to you a few propositions as to
 21 why we believe that you are saying that the results
 22 could be misleading, and you can then maybe say whether
 23 it is a correct understanding or whether you have
 24 anything to add; all right?
 25 By "the results", am I correct in understanding that

Page 133	Page 135
<p>1 they mean the results released regularly, on a daily 2 basis, by the government as to the test results of 3 opening-up released by the government? 4 A. Yes, because as I understand it the government issue 5 a daily bulletin as well, and that is accessible to the 6 public. 7 Q. Yes. The key points in that release of results would 8 include the number of bars being examined, let's say up 9 to a couple of days ago it was 75, for example. So the 10 key data would be number of bars examined, it would 11 include which location, it would include how many 12 millimetres embedded or engaged -- for present purposes, 13 I don't think we need to distinguish between embedded or 14 engaged -- and number of threads visible on the outside, 15 and also whether the government regards it as pass or 16 fail by applying 37 millimetres pass criteria. 17 Will that be a fair summary of what you mean by "the 18 results"? 19 A. That is correct, and I think, as of the latest count, we 20 now have 80. 21 Q. Yes. Can I just suggest to you what I understand to be 22 the misleading features in this way of presenting the 23 results. First of all, it applied a pass benchmark of 24 37 millimetres imposed by the government, when, as you 25 have explained this morning, if one were to apply safety</p>	<p>1 to pull out of the slabs or to disengage the D-wall from 2 the slab? 3 A. You have understood that correctly, yes. 4 Q. I hope I put it layman-like enough for everyone 5 listening to be able to understand it. 6 Another area where the couplings may not be material 7 would be the west diaphragm wall; would that be correct? 8 A. At the same location in the bottom, yes, because, let me 9 explain, they only occur at the bottom on the west side. 10 Q. Thank you. Of course we know that on the top mat of the 11 east diaphragm wall, there are not many couplers left 12 after the design change using continuous rebars? 13 A. That was the point I wished to emphasise in my evidence. 14 It's only a limited number of panels. 15 Q. Thank you. And therefore blandly looking at total 16 number of bars and looking at total number of fail 17 rates, applying the government's stringent criteria, you 18 say is not discerning enough and also too stringent? 19 A. Correct, but even on that stringent basis, as I pointed 20 out, they only have recorded two failures in those 21 safety-critical tests, out of 14. 22 Q. Thank you. Now, again, talking about the public, 23 rightly or wrongly, the results as published by the 24 government had been reported by the media and some 25 politicians have picked that up. Without commenting on</p>
Page 134	Page 136
<p>1 or some other criteria as the benchmark, the pass mark 2 could very well be different. That is one aspect in 3 which the results could be misleading; is that a fair 4 way of putting it? 5 A. That is correct. 6 Q. Because there is no magic in a figure chosen by the 7 government. The government could well be too stringent 8 in terms of safety; do you accept that? 9 A. I think their benchmark is too stringent. 10 Q. Thank you. The next aspect in which the results as 11 presented -- and very often I daresay by the media and 12 picked up by the politicians -- is that the results draw 13 no obvious distinction between precisely which stress 14 regions the bars are located, specifically whether or 15 not the bars are located at a location where couplings 16 are material or important or essential? 17 A. I think that is the vital message, the vital point, 18 because if the results were presented in the form of my 19 little table, it would become very obvious which are the 20 safety-critical ones and which are the non-important 21 ones. 22 Q. Non-important ones, I would repeat, would be the bottom 23 mat of the east-west link, because design-wise and as 24 a matter of physics, that part is always in compression, 25 namely there would be no attempt by the D-walls really</p>	<p>1 whether they are themselves trying to mislead or whether 2 they have themselves been misled, it has been suggested 3 by some public figures that the figures show that the 4 whole station or whole slab has to be demolished, bound 5 to be demolished. What do you think to that suggestion? 6 You can be as frank and brutal as you want. 7 A. I have already stated my conclusion that the station is 8 safe. Further results as they become available should 9 support my view that they will continue to show 10 an improvement in terms of the overall ratios, and as it 11 stands the compression, the tests on the compression 12 couplers, are completely irrelevant, and all we have to 13 go on in the safety-critical zone is two failures, 14 according to the government, out of 14, or as we say all 15 14 have passed. 16 Q. Thank you. 17 COMMISSIONER HANSFORD: Prof McQuillan, notwithstanding 18 that, is demolition even possible? 19 A. It depends what one would have to demolish, because if 20 you have looked at my report, at the diagrams of the way 21 this was constructed, there was a significant amount of 22 temporary works involved in getting down to construct 23 the bottom slab. So to deconstruct a box structure of 24 that magnitude would have to be a very carefully 25 thought-out process and the temporary works implications</p>

<p style="text-align: right;">Page 137</p> <p>1 would be very complex.</p> <p>2 COMMISSIONER HANSFORD: And very expensive.</p> <p>3 A. And very expensive. And if one tries to -- one would</p> <p>4 first of all have to dewater below the bottom slab,</p> <p>5 which means drilling through it, and that in itself is</p> <p>6 a major technical operation because of the water</p> <p>7 pressure.</p> <p>8 COMMISSIONER HANSFORD: Yes. That's something I want to ask</p> <p>9 you about a little later. I won't interrupt Mr Shieh's</p> <p>10 cross-examination for that point.</p> <p>11 A. But just to repeat, I'm of the opinion, I think two</p> <p>12 other experts are of the opinion, that all we're talking</p> <p>13 about here is simply standard remedial works on a job of</p> <p>14 this nature.</p> <p>15 CHAIRMAN: I think also -- and I stand to be corrected --</p> <p>16 but Prof Au himself was talking not about any need to</p> <p>17 destroy everything and start again but the possibility</p> <p>18 maybe of some extra reinforcing of critical points.</p> <p>19 A. I think that's what he was saying. I think he also</p> <p>20 qualified his concerns about the adequacy of the</p> <p>21 connection. So if he can satisfy himself as to that</p> <p>22 connection -- the rest of us are satisfied -- well,</p> <p>23 then, there are no concerns, basically.</p> <p>24 CHAIRMAN: Yes. While I'm standing -- I apologise; it's</p> <p>25 an excellent way of proceeding, thanks very much, it</p>	<p style="text-align: right;">Page 139</p> <p>1 might be the same politician, suggested that different</p> <p>2 experts are putting forward different numbers as being</p> <p>3 the pass criteria. I think the analogy he used was it's</p> <p>4 almost like bargaining in the market. People pay</p> <p>5 experts to put forward different numbers, trying to</p> <p>6 whitewash.</p> <p>7 What do you have to say to that, in respect of your</p> <p>8 opinion as to the numbers you have put forward?</p> <p>9 A. I go back to this muddying of the waters in terms of</p> <p>10 just grouping all the test results together because to</p> <p>11 the layman that is a totally meaningless and potentially</p> <p>12 harmful operation. I think we've got to get the message</p> <p>13 across that there is a distinction between couplers in</p> <p>14 the safety-critical zones and couplers in the zones</p> <p>15 which are of no consequence.</p> <p>16 Q. How about in relation to the pass mark, 37, 32 or</p> <p>17 20-whatever; are you trying to bargain the government?</p> <p>18 A. No, we are not. I'm actually endorsing the opinion of</p> <p>19 the previous two experts by saying that I believe -- and</p> <p>20 I've put forward the fact that we actually have three</p> <p>21 tests, three sample tests, to prove it. It may not be</p> <p>22 as good as nine, I accept that, but three is better than</p> <p>23 one, and one is better than none. So I'm quite happy to</p> <p>24 say that the 60 per cent threshold benchmark is</p> <p>25 perfectly safe and I've made the point earlier that</p>
<p style="text-align: right;">Page 138</p> <p>1 helps us -- but I just want to confirm, and I'm rather</p> <p>2 making a statement and asking you to agree or not to</p> <p>3 agree, and I think you will agree because you said it</p> <p>4 yourself earlier on, but it would be cold comfort</p> <p>5 indeed, I think, to the Chief Executive and to the</p> <p>6 government if we were to say as a Commission, "On</p> <p>7 a balance of probabilities, we are satisfied this is</p> <p>8 safe." That doesn't really help anybody. It's a bit</p> <p>9 like saying, "Well, it's a 51 per cent you'll be okay if</p> <p>10 you cross the bridge; on the other hand, it's</p> <p>11 49 per cent you won't."</p> <p>12 COMMISSIONER HANSFORD: I thought you were going to mention</p> <p>13 Brexit for a minute!</p> <p>14 CHAIRMAN: But I think you start off by saying that what is</p> <p>15 required is a definitive opinion; that would be correct?</p> <p>16 A. That's correct.</p> <p>17 CHAIRMAN: This is your definitive opinion.</p> <p>18 A. I think I was saying by way of introduction -- there are</p> <p>19 two options, you can either give an opinion based on the</p> <p>20 balance of probability, but it's much better if you can</p> <p>21 arrive at a definitive opinion, and in my opinion it is</p> <p>22 definitive.</p> <p>23 CHAIRMAN: Good. Thank you.</p> <p>24 Mr Shieh, sorry we have cut across you.</p> <p>25 MR SHIEH: Prof McQuillan, some politicians, in fact it</p>	<p style="text-align: right;">Page 140</p> <p>1 because the stress levels in the rebars and the EWL slab</p> <p>2 are much, much lower than one would normally expect, we</p> <p>3 have an even greater safety margin.</p> <p>4 Q. Thank you. Can I then move on to the next and hopefully</p> <p>5 final topic, and that is apart from strength, the other</p> <p>6 two parameters or qualities which experts or BOSA have</p> <p>7 been talking about, which require checking or testing</p> <p>8 also, elongation, and I think cyclic loading.</p> <p>9 A. Mm-hmm.</p> <p>10 Q. Again, trying to put things in as simple a way as</p> <p>11 I possibly can, am I correct to understand that in</p> <p>12 an ideal world, if you want a coupler assembly which can</p> <p>13 be used for all possible purposes anywhere in the world,</p> <p>14 then in theory you need to pass these two, but for the</p> <p>15 purpose of being used in this particular station in this</p> <p>16 particular way, these two tests are more or less</p> <p>17 immaterial?</p> <p>18 A. I would almost have used the word "irrelevant" but your</p> <p>19 term is probably better, yes.</p> <p>20 MR SHIEH: Thank you very much.</p> <p>21 I have no further questions.</p> <p>22 CHAIRMAN: Thank you.</p> <p>23 Cross-examination by MR CHOW</p> <p>24 MR CHOW: Good afternoon, Prof McQuillan. My name is</p> <p>25 Anthony Chow and I represent the government.</p>

Page 141

1 Just now, you had a discussion with counsel for
 2 Leighton, Mr Shieh on the question of the passing mark
 3 of 37 millimetres; right? At the same time I recall
 4 that earlier, when you did your presentation, one of
 5 your slides sets out the various acceptance criteria,
 6 and I recall -- if I am wrong, please correct me -- that
 7 you referred to the 37 millimetres value as
 8 an arbitrary --
 9 A. Can we just go back to it, just to refresh ourselves?
 10 I think it was slide number 3 or 4.
 11 Q. Slide 3, yes. Right.
 12 Do you know why the passing mark of 37 millimetres
 13 engagement length was taken at the moment as the
 14 acceptance criteria? Do you know the reason behind?
 15 A. I was told that but it didn't -- actually, I'm a little
 16 unclear as to why, and I'm less clear about the
 17 3 millimetres tolerance.
 18 Q. If I may also for the benefit of the Commission and the
 19 public at large explain why, at the moment, the value of
 20 37 millimetres is taken as the acceptance criteria for
 21 the present purpose.
 22 The brand of the couplers that were used in this
 23 project is proposed by the contractor, Leighton, and
 24 through MTRC to the government. The government, on the
 25 basis of the documents received from MTRC, was advised

Page 142

1 by the manufacturers of the couplers that for a proper
 2 installation of the couplers that they supply, there has
 3 to be an engagement of ten threads, and the government,
 4 at the same time, was advised that on the basis of
 5 a pitch of 4 millimetres, a total of 40 millimetres
 6 engaged length has to be ensured for a proper
 7 installation of the type of couplers used by the
 8 contractor, Leighton.
 9 Then, because of this matter, because of the
 10 publication of the possibility of impropriety in the
 11 installation of these couplers on site, MTRC and the
 12 government, after discussion, decided to adopt
 13 a non-destructive testing method to ascertain the length
 14 of the threaded bar engaged within the couplers, and the
 15 test proposed by MTRC is phased array ultrasonic
 16 testing.
 17 The government was advised by expert in this kind of
 18 testing, saying that the accuracy that the measurement
 19 can provide is only up to plus or minus 3 millimetres.
 20 A. Mm-hmm.
 21 Q. Now, on the basis of the information provided by the
 22 manufacturers of the couplers proposed by Leighton,
 23 which is 40 millimetres engaged length, in view of the
 24 accuracy of the measurement by the kind of test again
 25 proposed by MTRC of plus or minus 3 millimetres, to give

Page 143

1 the benefit of the doubt to the contractor, Leighton in
 2 this case, the government adopted an acceptance criteria
 3 for the present purpose of 37 millimetres.
 4 In other words, so long as the measured length as
 5 provided by the test attains 37 millimetres, we assume
 6 the actual length would have 40 millimetres, that
 7 satisfies the requirement of the manufacturers.
 8 Now, the requirement of 40 millimetres engagement
 9 length is not something set by the government initially.
 10 It is something set by the manufacturer of the couplers
 11 chosen by the contractor, and it is also clearly set out
 12 in the quality supervision plan submitted by the
 13 contractor, and that is the reason behind the acceptance
 14 criteria of 37 millimetres. It is not an arbitrary
 15 value picked by the government.
 16 Now, earlier, when counsel for Leighton --
 17 MR PENNICOTT: Sorry, is that a question, is Mr Chow
 18 actually putting to Prof McQuillan that because of the
 19 explanation he has given, it's not arbitrary? Is that
 20 a question or is it a statement? If he wants to put to
 21 Prof McQuillan whether that explanation is not
 22 arbitrary, that should be -- a question should be put
 23 not in the form of a statement, which is what has just
 24 been said: the acceptance criteria, "it is not
 25 an arbitrary value".

Page 144

1 CHAIRMAN: I take it that what Mr Chow is doing is saying,
 2 "Let me give to you what I understand the background to
 3 be, which you may not be aware of or have forgotten, and
 4 then can you please comment as to what you feel about
 5 arbitrariness or otherwise." Would that be correct?
 6 MR PENNICOTT: As long as the question is coming.
 7 MR CHOW: Yes. Thank you, Chairman.
 8 MR BOULDING: May I just say that we don't actually accept
 9 the accuracy of the whole of that statement.
 10 COMMISSIONER HANSFORD: Can I also make an observation that
 11 if the accuracy of the measurement -- of the equipment
 12 that was used is plus or minus 3 millimetres, it's
 13 slightly odd that the results are presented to two
 14 decimal figures.
 15 MR CHOW: I'm afraid, on this front, I'm not in a position
 16 to advise.
 17 COMMISSIONER HANSFORD: No, it's an observation.
 18 A. It's a comment I made earlier.
 19 COMMISSIONER HANSFORD: Okay.
 20 CHAIRMAN: That is right.
 21 MR CHOW: But obviously it's a kind of testing that both
 22 MTRC and the government, after thorough discussion,
 23 agree that this is the most appropriate test to carry
 24 out to ascertain the conditions within the couplers.
 25 As to why --

Page 145

1 CHAIRMAN: So what would be your proposition to
 2 Prof McQuillan?
 3 MR CHOW: Actually, my question -- the reason why I did not
 4 ask Prof McQuillan as to whether, given the background,
 5 the assessment criteria of 37 millimetres is arbitrary
 6 is because given the background, it's self-evident it is
 7 not arbitrary.
 8 My question, actually, what I intended to ask
 9 Prof McQuillan, arising from that is because this
 10 morning -- sorry, it's not this morning -- just now,
 11 when Prof McQuillan had this exchange with Mr Shieh, it
 12 was put in the context that the result of the testing
 13 now being published by the Highways Department on
 14 a daily basis is misleading.
 15 My question that I would like to ask,
 16 Prof McQuillan, is when the word "misleading" was used,
 17 I suppose that, Prof McQuillan, you are not suggesting
 18 that the Highways Department, by publishing the test
 19 results, and at the same time adopt a passing threaded
 20 length of 37 millimetres, is trying to mislead the
 21 public? I suppose this is not what you mean?
 22 A. No. What I mean is that the acceptance criteria given
 23 by the government, which is what is informing the public
 24 at present, is really an ideal world, where you are
 25 actually trying to assess what the manufacturer's

Page 146

1 quality manual suggest you might do. We are where we
 2 are with this investigation, and what we are now
 3 focusing on is what is there safe. I and other experts
 4 are basically saying that the 60 per cent engagement
 5 gives a safe result.
 6 CHAIRMAN: Certainly we didn't take the word "misleading" as
 7 in any way to mean intentionally misleading. Equally
 8 the word "arbitrary" is I think expressed in its
 9 scientific context, not in its social context.
 10 MR CHOW: Thank you, Mr Chairman.
 11 The next question is somehow related to the subject
 12 we just looked at. I recall, Prof McQuillan, you
 13 mentioned earlier you don't want to hear people saying
 14 only one sample was used. Do you recall that part of
 15 your --
 16 A. I do, yes.
 17 Q. Please forgive me. I am obliged to raise this subject
 18 again.
 19 This morning, when you said in actual fact there are
 20 three samples that support the adoption perhaps of
 21 a more lenient or less stringent requirement -- now, the
 22 way I understand those test results, the three samples
 23 that you refer to, the first sample is the one with
 24 60 per cent engagement; right?
 25 A. Mm-hmm.

Page 147

1 Q. That's the one sample. The second sample is the one
 2 with 70 per cent engagement.
 3 A. Yes.
 4 Q. And the third sample is the one with full engagement,
 5 100 per cent.
 6 A. Yes.
 7 Q. If someone has to advocate to adopt a 60 per cent
 8 engagement length as an acceptable criteria, the sample
 9 which is able to support that is not the sample where
 10 there was 70 per cent engagement or 100 per cent
 11 engagement. Because we want to lower the acceptance
 12 criteria, and the only sample which is available to
 13 support the change of the acceptance criteria, as far as
 14 I am concerned, remains as one. There is only one
 15 sample with 60 per cent engagement length and showed
 16 a tensile resistance of up to the required value.
 17 Am I correct?
 18 A. With all due respect, sir, you are not correct. It
 19 might be helpful if we could flag up Prof Yeung's very
 20 helpful little graph.
 21 Q. Yes.
 22 A. It's contained in his PowerPoint presentation. That's
 23 the one.
 24 So what happened -- let's go back. Let's reverse
 25 the order just for a moment. So on the extreme

Page 148

1 right-hand side, against the "B" and the open circle,
 2 you have a bar -- and remember it is the bar which
 3 failed -- at 100 per cent engagement; correct?
 4 Q. Yes.
 5 A. Move left to the next little circle. That is the bar
 6 which failed at 70 per cent engagement. The coupler
 7 still was intact.
 8 Move left again, and where the "B" intersects with
 9 the diagonal line, that was the 60 per cent failure.
 10 The coupler held in every case. It was the bar that
 11 broke.
 12 What I'm saying to you is that what you have there
 13 are three representative samples, and the scatter in the
 14 breaking load is not all that inconsistent.
 15 In fact, in my report, and I gave it to you this
 16 morning, I have calculated the main breaking load for
 17 those three samples. So you don't have one sample. You
 18 have three samples of the bar that broke. The
 19 coupler -- if I can just describe it like this. Leave
 20 the coupler out of the equation. The coupler is just
 21 acting like the jaws of the testing machine holding
 22 a bar; okay? And whether it's 60 per cent engagement,
 23 whether it's 70 per cent engagement, whether it's
 24 100 per cent engagement, the bar is still being clamped,
 25 and it's being tested to failure, and what you have here

<p style="text-align: right;">Page 149</p> <p>1 are three reasonably consistent failure results. 2 Q. Right. That part I understand. But what I don't 3 understand is -- the way I say it, the three sample 4 results that you have just mentioned shows the strength 5 of the bar, not the couplers; is that the point? 6 A. That is the whole reason -- the reason why BOSA carried 7 out this test. If you look at their little chart, it's 8 entitled something like "Thread calculation". 9 Q. Yes. 10 A. So it's not testing the coupler. It's testing the 11 number of threads engaged in the coupler which will 12 allow the bar to go to breaking load. 13 Q. Exactly, yes. 14 A. We have three breaking loads here. 15 Q. Yes. But what I'm saying is the three breaking loads 16 shows the breaking load of the reinforcing bar, and it 17 also shows -- it also demonstrates that the couplers 18 were strong enough to enable the bar to break at its 19 breaking load. 20 A. In which case your point is completely lost on me, I'm 21 sorry. 22 Q. Maybe I'm too slow but I still want to be educated on 23 it. 24 Now, the sample to the extreme right tells us that 25 if there are ten engaged threads, the coupler and bar</p>	<p style="text-align: right;">Page 151</p> <p>1 samples -- 2 A. I do. 3 Q. -- which demonstrate or prove that 60 per cent 4 engagement would be adequate? 5 A. Yes, because the coupler -- I've made the point this 6 morning that the coupler is not the thing that's going 7 to break. It's the bar that's going to break. Okay? 8 Q. I will move on then. 9 Can I ask you to go to your expert report, 10 paragraph 26, at page 21, please. In paragraph 26, you 11 explain the assumption that you made, and you list out 12 a number of features that you have not taken into 13 account in forming your view. Do you see that? 14 A. Yes. 15 Q. What I am interested in is the fifth item. You set out 16 that: 17 "Columns supporting the existing Hung Hom Station 18 podium and roof had their loads transferred to the new 19 EWL slab ..." 20 So am I right in understanding that in your 21 analysis, you have ignored the loading from the existing 22 Hung Hom Station; is that -- 23 A. I have not carried out any analysis. I have simply 24 reviewed the work of others. The thing about that 25 particular bullet point is that provision has been made</p>
<p style="text-align: right;">Page 150</p> <p>1 assembly are able to provide an attachment so that the 2 bar can manifest or achieve its breaking load. We no 3 problem about that because we have ten threads engaged. 4 A. Okay. At the other end of the scale, 60 per cent does 5 exactly the same thing. 6 Q. Exactly, but there is only one sample that shows that. 7 A. No, no, there's three samples of the same bar there, 8 three different tests on three different bars, one at 9 60 per cent engagement, one at 70 per cent engagement, 10 one at 100 per cent engagement. So you have three 11 samples which broke. 12 Q. Yes, but only one sample which demonstrates that with 13 only 60 per cent engagement, it is strong enough, and it 14 is only that sample one can rely on to convince the 15 public that now we don't need ten threads engaged, we 16 only need six threads engaged. It is to this extent 17 that when I raised my question to the other expert, 18 suggesting to them there is only actually one sample, 19 and it is not reliable because one would expect that at 20 least we should have more samples with 60 per cent 21 engagement and yet still able to support a loading or 22 an attachment between the couplers and the bar, to 23 enable the bar to fail at its yield strength. 24 A. I think we are splitting hairs, really. 25 Q. Very well. So you still maintain that there are three</p>	<p style="text-align: right;">Page 152</p> <p>1 for transferring existing loads onto the EWL slab and 2 hence down onto the NSL slab and hence into the 3 foundations. 4 Q. Yes. Mr McQuillan, you have just confirmed my next 5 question, actually. The way I read your report, I have 6 not seen any calculation, albeit a simple calculation, 7 and am I right in understanding that in coming to your 8 final view on the issue of safety, you have carried out 9 a kind of qualitative assessment in the sense that you 10 exercise your engineering judgment by looking at what 11 was built, the configuration of various structural 12 elements, and you come to your conclusion that there is 13 no safety concern; is that correct? 14 A. No, that's grossly incorrect, because if you read my 15 report carefully you will see that I have relied very 16 heavily on particularly the work of Arups and also the 17 work of Atkins, and more latterly I have had a brief 18 review of COWI's work. But I wasn't concerning myself 19 too much with COWI's because they come up with even 20 better utilisation values than do Arups. 21 Q. So you relied on the result produced by Atkins and the 22 result produced by Arup? 23 A. Yes. That was my brief. 24 Q. It's not a criticism at all, I just want to clarify so 25 that the Commission will be able to assess your --</p>

<p style="text-align: right;">Page 153</p> <p>1 A. I think you have to realise that to carry out a full 2 analysis in the way that Atkins and Arups have done is 3 a very time-consuming and costly process. 4 Q. I'm not suggesting that you should carry out the kind of 5 calculation as a consultant would have done. 6 A. In which case, I'm baffled about your question or your 7 comment. 8 Q. I just want to clarify so that everybody knows the basis 9 of your opinion. That's all. It's not a criticism, as 10 I have made clear earlier. 11 A. Okay. 12 Q. Can I now refer you to paragraphs 106 and 107 of your 13 report, please, page 44, where you talk about the NSL 14 slab. Do you agree that as far as the NSL slab is 15 concerned, the bottom reinforcement are always in 16 tension? 17 A. Could you flag up the slide in my presentation, please, 18 where I show my schematic bending moment? 19 Q. Yes. Page 5, I guess. Is that the one that you -- 20 A. Yes. No, ignore the diaphragm walls, and imagine you 21 can flip that through 180 degrees. 22 Q. Right. 23 A. Okay? So it's probably not easy -- can we do it on the 24 slide? Can we rotate it through 180 degrees? Maybe 25 not.</p>	<p style="text-align: right;">Page 155</p> <p>1 the centre portion above the slab that is in tension. 2 Q. Yes. Now I understand. So as far as the bottom steel 3 of the NSL slab is concerned, it is essential that 4 a proper connection is to be provided between the NSL 5 slab and the diaphragm wall? 6 A. I made that clear in my presentation. That is 7 safety-critical in the same way as the EWL is critical 8 on the top of the D-walls, yes. 9 Q. So do you agree with me that there is a need to find 10 a way to ascertain the quality of the installation of 11 the couplers for those reinforcement at the bottom of 12 NSL slab? 13 A. In all seriousness, that is not a probability -- that is 14 not possible. Do you want me to say why? 15 Q. I accept that it is not -- sorry. 16 COMMISSIONER HANSFORD: No, I'd like to hear why. 17 A. Right. Because you've already heard about the very 18 significant waterhead, the hydrostatic difference. If 19 you start to cut down into -- that's only a 2 metre 20 slab, still quite significant -- if you cut down, you're 21 going to have to cut through all the layers of rebar, 22 which is going to cause enormous damage to the slab. 23 When you get near the bottom, at some stage, the water 24 is going to come through and you are going to create 25 a Yellowstone National Park, geysers everywhere.</p>
<p style="text-align: right;">Page 154</p> <p>1 COMMISSIONER HANSFORD: Turn it upside down. 2 A. Yes, turn it upside down. Go right the way around. 3 Keep going. Nearly. 4 COMMISSIONER HANSFORD: I can't see any cracks yet! 5 A. That's it. Just bring it around. Brilliant. 6 Yes, more or less, the diaphragm wall bending 7 moments are not correct, but you now can see that below 8 the black line, which is on the underside of the NSL 9 slab, the couplers are in tension in the red zone, on 10 both sides, but on the top of the NSL slab the couplers 11 are in compression, if you can read that upside down. 12 MR CHOW: Right. 13 A. But the tension in the NSL slab is on the top of the 14 slab, in the middle. 15 Q. The tension, sorry? 16 A. Let me say it again. On the underside of the NSL slab, 17 at the zones adjacent to the D-wall, the couplers and 18 the rebar are in tension. Dr Glover explained that to 19 you this morning. 20 Q. Right. 21 A. Between those points -- so we are still talking about 22 the underside of the slab, the bottom steel, the rest of 23 the bottom steel, is in compression. When you move to 24 the top surface, in the zones adjacent to the D-wall, 25 the couplers and the rebar is in compression and it's</p>	<p style="text-align: right;">Page 156</p> <p>1 COMMISSIONER HANSFORD: And how could that be stopped? 2 A. I don't know that technology, I'm sorry. You call in 3 Red Adair. 4 COMMISSIONER HANSFORD: You can't just put a plug in? 5 A. No. 6 COMMISSIONER HANSFORD: So that would be very dangerous? 7 A. Very dangerous, and I think I pointed that out somewhere 8 in my report. 9 COMMISSIONER HANSFORD: You have. I wanted to hear it. 10 A. That actually forms part of the holistic proposal in its 11 first draft and I pointed out that danger. 12 MR CHOW: Prof McQuillan, in fact, on these particular 13 points we are in agreement. It is almost impossible to 14 open up the bottom of the NSL -- 15 A. To then answer your question, you've got to go back to 16 the evidence that Dr Glover gave. I'm even less of 17 a statistician than he is. So you've got to satisfy 18 yourself generally that the integrity of the couplers is 19 fairly consistent. 20 Q. In fact the reason why I ask this question is what I was 21 getting at when I asked this question is there is 22 actually a need of opening up of the other area, like 23 the top of the NSL slab, in order to get a better 24 picture of the general quality of the couplers' 25 installation work.</p>

<p style="text-align: right;">Page 157</p> <p>1 A. Yes, I have no objection to that. I just think the 2 acceptance criteria is incorrect. 3 Q. Yes. That we have noted. 4 CHAIRMAN: Can I just jump in -- I'm just interested in -- 5 it's all been in place now for about three years. 6 A. Yes. 7 CHAIRMAN: And from what we've heard, the dead loads make up 8 about 90 per cent of whatever stress these structures 9 are going to have to face, and then you say adding 10 an extra 8, 9, 10 per cent is not really going to change 11 anything. Well, that's what is being said generally, it 12 seems; correct? 13 A. That is correct, sir, but only in relation to the upper 14 slab. 15 CHAIRMAN: Right. 16 A. In relation to the lower slab, at the moment, ignoring 17 the trains which have been used for commissioning and 18 testing, that slab from a very early stage, once they 19 recharge the water table and let it regain equilibrium, 20 that slab has more or less been -- well, it has been 21 constantly loaded, apart from some very minor variation. 22 So it has been subjected to the same quantity of load 23 for that duration. There has been no evidence of any 24 distress of any kind. 25 COMMISSIONER HANSFORD: Indeed, on that slab, unlike the EWL</p>	<p style="text-align: right;">Page 159</p> <p>1 CHAIRMAN: So perhaps the ordinary member of the public, and 2 that includes myself, may think, fine, three years is 3 okay, but what guarantee is there that over a longer 4 period of time, perhaps the stresses on the couplers are 5 such that slowly, slowly, one doesn't do what it should 6 do, another doesn't do what it should do, and then you 7 get a slow degradation which may only make itself known 8 in, say, a dozen years? 9 A. I can answer that question on two fronts. The first one 10 is that those couplers and the rebar are subjected to 11 the same level of stress from day 0 to where we are now. 12 Prof Hansford is right, once the trains start running, 13 it will actually lower the stress levels. That will be 14 a fluctuating load. So if they haven't broken now, then 15 they won't break in the future. That is like let's go 16 back to the test where you put a partially engaged rebar 17 into a coupler. If you just stress it -- if the 18 breaking load is 600 and you just maintain it at 19 a stress of, say, 100, it's never going to break. It's 20 never going to pull out of the coupler. 21 But the other thing that was raised yesterday in 22 evidence -- Dr Glover was asked about this -- the one 23 way in which failure might occur is if the couplers and 24 the rebars inside them were able to corrode. But that 25 is not going to happen because the way it was</p>
<p style="text-align: right;">Page 158</p> <p>1 slab where there is 8 per cent or 10 per cent of load 2 still to come, on that slab any live load from the 3 trains or passengers would actually be reducing the load 4 of the water pressure, would they? 5 A. That's a correct observation. It's mitigating -- so the 6 top slab was at its worst immediately after 7 construction. So was the bottom slab. So any trains 8 that run on it, any additional load that's put on it, is 9 actually alleviating the bending moment, the upward -- 10 COMMISSIONER HANSFORD: That's what I thought but I 11 expressed it as a civil engineer and not a structural 12 engineer. 13 A. No, you're quite right. I'm a civil engineer as well. 14 CHAIRMAN: The point I was going to make is that perhaps 15 having been brought up, when I was in my 20s, I think, 16 on a diet of these disaster movies, these great 17 buildings that collapsed and everybody jumping out of 18 windows and stuff, one gets an image there of these 19 couplers lying embedded in concrete, year after year, 20 and perhaps this is what the public thinks, and then 21 suddenly one goes clink and breaks, and then nobody 22 notices and another one goes clink -- however you 23 translate clink, I don't know -- and then that one 24 breaks. Do you see the point I'm making? 25 A. Yes.</p>	<p style="text-align: right;">Page 160</p> <p>1 constructed was there was very careful -- the 2 waterproofing laid on the prepared surface, and that was 3 actually dressed into the diaphragm walls, there's 4 evidence of that in the construction photographs, and 5 therefore, assuming the integrity of the waterproofing 6 is okay, the couplers are never going to deteriorate due 7 to corrosion. 8 COMMISSIONER HANSFORD: And I think the point was made 9 there's no oxygen at that level, which is also needed 10 for corrosion? 11 A. Absolutely, yes. You need steel, you need oxygen, and 12 you need the water. 13 COMMISSIONER HANSFORD: Yes. 14 A. Sorry, all three -- 15 COMMISSIONER HANSFORD: I understand. Just on that point -- 16 and you've made a very helpful -- you've given us a very 17 helpful description of how, if all the couplers have 18 been demonstrated to adequately take the load so far, 19 it's not going to get any -- it's not going to change or 20 not going to get any further loading. 21 A. Mm-hmm. 22 COMMISSIONER HANSFORD: Is the same observation true with 23 a load test? And I know we haven't gone to load tests 24 much because none of the experts are advocating a load 25 test, in fact quite the reverse, but isn't it the case</p>

Page 161

1 that if you do a load test, the load goes on at that
 2 point, but that just gives you the behaviour at that
 3 particular point and that doesn't change in a few years'
 4 time.
 5 A. It's a snapshot in time.
 6 COMMISSIONER HANSFORD: It's a snapshot.
 7 A. That's one of the reason why personally, and if you ask
 8 the other experts they will probably concur, it's of
 9 limited value and very expensive to do, a load test.
 10 CHAIRMAN: Just so that we follow this up, because I'm
 11 looking -- it helps me, and I think the public at large
 12 may not have the knowledge that you have, but when
 13 you're talking about -- you took the example of the coat
 14 hanger that you get from the dry-cleaner, fatigue.
 15 Fatigue would I think be the nearest that the average
 16 person would look to a biological being holding
 17 something up above their head and saying, "I can do this
 18 but I can't do it for more than 24 hours because
 19 otherwise I'm just going to drop dead", but metal
 20 doesn't work that way. So it can be there providing it
 21 can take the stress forever.
 22 A. Mm-hmm.
 23 CHAIRMAN: So what would therefore be the forms of metal
 24 fatigue, if any, that could change that situation?
 25 A. Let me explain. What would create conditions for

Page 162

1 a fatigue to occur would be for that -- let's take the
 2 bottom slab to be moving up and down, for the load to be
 3 reversing on it, which can never happen, and the same
 4 applies at the upper slab, it can only bend in one way,
 5 it's never going to go the other way.
 6 What I tried to explain in the QSP test, the cyclic
 7 test, is that the material like the coat hanger is first
 8 of all pulled and then compressed, then pulled and then
 9 compressed (demonstrating with hands). That is
 10 analogous to bending the coat hanger and there's a point
 11 where it snaps. None of these couplers are ever going
 12 to be subjected to load reversal and therefore fatigue
 13 will never happen.
 14 CHAIRMAN: Thank you.
 15 A. The other thing about fatigue -- fatigue depends on two
 16 things and it's a peculiar curve, a typical curve.
 17 First of all, it depends on the level of stress
 18 reversal, in terms of the magnitude. It also depends on
 19 the number of cycles that are experienced. So there's
 20 your coat hanger analogy, you maybe bend it six times
 21 with no problem, but there comes a seventh and it
 22 breaks.
 23 MR SHIEH: I have a paper clip here, perhaps there can be
 24 a demonstration of how it can broken.
 25 A. We'll let you do that, Mr Shieh.

Page 163

1 COMMISSIONER HANSFORD: I think we've all done that exercise
 2 for ourselves, Mr Shieh.
 3 MR CHOW: I have done that myself.
 4 CHAIRMAN: Thank you. I appreciate they are almost
 5 insultingly simple questions for you, but I think there
 6 are members of the public out there who kind of think,
 7 "What about slow, slow fatigue?", et cetera, and I think
 8 that links in actually to the suggestion made by all the
 9 experts that in order to allay public concerns, even
 10 though you as experts know it's not a concern, something
 11 like an electronic monitoring system is there to allay
 12 the sort of fear I've expressed.
 13 A. Absolutely, yes. They are difficult concepts for people
 14 without an engineering background, I admit that.
 15 MR CHOW: Prof McQuillan, I would like to move on to the
 16 next subject, which is whether ductile couplers are
 17 actually required in this project.
 18 Could I refer you to paragraph 89.2 of your report
 19 at page 38, please. In subparagraph 2, you said:
 20 "The geometry of the connection between the EWL slab
 21 and the east diaphragm wall, however, precludes any
 22 ductility. The structural 'plastic' deformation which
 23 might occur during seismic activity will develop lower
 24 down the diaphragm wall. Ductile-grade couplers are not
 25 therefore required where used in the EWL slab to

Page 164

1 diaphragm wall joint."
 2 Now, I have explored with Dr Glover yesterday on
 3 a similar subject. However, what I'm now interested in
 4 is in the connections between the NSL slab and the
 5 diaphragm wall. Am I right in thinking that for that
 6 connection, it is not as obvious, because, first of
 7 all --
 8 A. Sorry, which slab did you mention there?
 9 Q. NSL.
 10 A. The lower one?
 11 Q. The lower one, because NSL slab is thinner, only
 12 2 metres, and at the same time NSL slab framed into
 13 a continuous diaphragm wall of 1.2 metres. So if we are
 14 talking about relative stiffness, it is not entirely
 15 clear that if plastic hinge is ever to be formed, it
 16 will be on the diaphragm wall. It may well be on the
 17 NSL slab?
 18 A. No, I'm afraid not, because it's not just a linear
 19 relationship. It's probably a squared relationship. So
 20 if you have a 1.2 metre diaphragm wall and you have
 21 a 2 metre deep NSL slab, it's like in the ratio of 4 to
 22 1, something like that, in terms of stiffness.
 23 Q. But in terms of stiffness, should we consider the
 24 diaphragm wall, contiguous diaphragm wall, one portion
 25 of it is above the connection and the other is below the

Page 165

1 connection and they have to be counted twice for the
 2 purpose of distributing the moment in the connection?
 3 A. Sorry, I don't understand the point you make.
 4 Q. Let's move on.
 5 A. I will answer your question in a different way.
 6 Q. Good.
 7 A. In the event of seismic activity, it is inevitable,
 8 because again of the stiffness, the relative stiffness
 9 of the slab, to the D-wall, that any deformation will
 10 take place in the D-wall. So I would agree that in the
 11 D-wall it is necessary to put in your ductility
 12 couplers.
 13 But the point is, even though we make a statement
 14 like that, it's just to make a certain point. The truth
 15 of the matter is that everywhere in this job, they have
 16 used ductility couplers, so there's no argument.
 17 Q. Well, not everywhere.
 18 A. Sorry, well, in the slabs they have.
 19 Q. Yes, in the slabs, but in the diaphragm wall we have
 20 non-ductile couplers.
 21 A. Yes, I appreciate that. But that was carefully designed
 22 and implemented.
 23 Q. I think I will move on because I don't have expert
 24 opinion to support what I was going to put.
 25 I would like to move on to another area. It's in

Page 166

1 relation to whether there is a need to check the stress
 2 inside the connection.
 3 The way I see it, the main difference between
 4 Prof McQuillan, you, and Prof Au is that whether --
 5 well, as far as you are concerned, there is no need to
 6 carry out any calculation to verify the stress generated
 7 inside the connection, whereas Prof Au said he has some
 8 concern and he thinks there is a need to do that
 9 exercise.
 10 A. I'm not the only one who suggested there isn't any need
 11 to do it. The other two experts as well have concurred
 12 with my view that -- one already has demonstrated using
 13 a different method that it's not necessary.
 14 Q. I'm conscious of that. I try to summarise the
 15 difference between you and Prof Au. That is really the
 16 main difference, because as far as I understand
 17 Prof Au's evidence, he is not saying that there is
 18 definitely a problem in the connection. He is just
 19 advocating that there is a need to check, to do some
 20 calculation to make sure.
 21 A. Can I answer your question a different way for the
 22 benefit of the Commission?
 23 Q. Sure.
 24 A. Can I draw?
 25 Q. Yes.

Page 167

1 A. Thank you.
 2 There are two issues behind all of this, and one
 3 issue is being used to obfuscate the other. It's like
 4 a smokescreen. So let me first of all -- and this is
 5 where my sketching will be shown quite inferior to
 6 Mr Southward and Dr Glover, but bear with me.
 7 (Drawing with a black marker) Okay. I want to
 8 establish, first -- you know, pin down the evidence that
 9 was presented yesterday.
 10 COMMISSIONER HANSFORD: Yes.
 11 A. That the construction joint in that zone (indicating),
 12 if properly formed, is of no consequence; right? So if
 13 a construction joint is properly formed and the wall is
 14 reinforced properly, it could shear anywhere, if it was
 15 going to shear.
 16 (Drawing with a red marker) So a construction joint
 17 can be anywhere, wherever you want it to be. It doesn't
 18 affect the shear of that wall; okay?
 19 The next thing I want to do is really to draw on
 20 that what normally happens. Bear in mind my slide -- in
 21 fact, if you call it up, I think it's slide number 9,
 22 would you, please, where the whole block is trying to
 23 rotate; that's the one. So it's trying to rotate like
 24 that (demonstrating with hands).
 25 (Drawing with a green marker) How that is resisted

Page 168

1 is that you put in an L-bar which laps with the vertical
 2 rebar in the wall, and then you put in another L-bar
 3 which laps with that, and in practice you combine the
 4 two L-bars into the form of a U-bar. So we'll just do
 5 away with that, we'll call that a U-bar.
 6 (Drawing with a blue marker) Now, what happens is
 7 that as this block, as I call it, is trying to rotate,
 8 this bar on the outside is taking tension, so it's going
 9 to go into tension like that, and I'll mark this with
 10 a T.
 11 On the other hand, the stresses are then being
 12 distributed around the U-bar, and this bar here is going
 13 to go into compression, and we'll call that C.
 14 Are you with me so far?
 15 COMMISSIONER HANSFORD: Yes.
 16 A. Good.
 17 What I'll do is turn over the page because I don't
 18 want to be stripping down, and I'm going to draw that
 19 situation yet again.
 20 (Drawing with a black marker) I hope I have picked
 21 the same colour. Was it green?
 22 COMMISSIONER HANSFORD: I think it was green.
 23 A. Okay, let's stick with the green.
 24 (Drawing with a green marker) What happened was that
 25 when the U-bars were deleted, you are left with

Page 169

1 a situation like that; okay? And that in fact doubled
 2 up with what we call the first change, and from
 3 memory -- well, I know for a fact that that still relied
 4 on the reinforcement bar with the couplers cast into the
 5 wall; okay?
 6 COMMISSIONER HANSFORD: Yes.
 7 A. Now, the Buildings Department approved that detail
 8 (drawing a green tick).
 9 What the designers then did was simply develop that
 10 and extrapolate it, and what they decided to do, because
 11 of the reasons that you've heard, was to chop that down
 12 to there (drawing with a red marker). It's perfectly
 13 logical, perfectly legitimate, and because the first
 14 change had been approved it didn't raise any hairs.
 15 What happens now is that -- and it was referred to
 16 yesterday -- if you still think of this whole mass
 17 trying to rotate (drawing with a blue marker), it
 18 relies -- if there are no other influences acting, then
 19 this bar here, this one (drawing with a black marker),
 20 above the level of the joint, is relying on its bond,
 21 its grip in the concrete, to stop the whole lot lifting
 22 off. Are you with me?
 23 COMMISSIONER HANSFORD: Yes, that's actually part of the
 24 long bar.
 25 A. Yes, this is part of the long bar, but it's only that

Page 170

1 bit above the construction joint (drawing with a blue
 2 marker) which is actually relying on its bond. As was
 3 alluded to yesterday, that clearly won't work. It has
 4 to be an L-bar to give it the anchorage. So you've got
 5 to have some other mechanism to stop this whole lot
 6 rotating.
 7 What I'm gathering from this and the more I've
 8 thought about it is -- it appears to me that the
 9 Buildings Department, despite having approved the first
 10 change, are now having concerns about that approval. It
 11 appears to me, and I might be wrong, that they are using
 12 the issue of the construction joint to fudge that issue;
 13 right? Because if you go back to this diagram --
 14 COMMISSIONER HANSFORD: What makes you think that?
 15 A. Because the first one was approved without any
 16 difficulty; okay?
 17 COMMISSIONER HANSFORD: Okay.
 18 A. In other words, if you ignore the construction joint
 19 (indicating), and the construction joint is as good as
 20 any -- could be anywhere -- there's still the tendency,
 21 if you don't have a construction joint, if you don't
 22 pull down the top of the wall, trim it down, you are
 23 still going to have a tendency for that to run out of
 24 bond. And I think, reading between the lines, that is
 25 Buildings Department's concern.

Page 171

1 So if you go back to my diagram -- sorry, the next
 2 couple, maybe. Go to the next one. Yes, that's the
 3 one.
 4 So what I'm saying is I'm relying on a different
 5 mechanism to hold that slab from rotating.
 6 (Drawing with a green marker) I'm relying on the
 7 rebar going into the bottom here, providing the dowel
 8 action which means that it cannot lift up, and relying
 9 on the dowel action going in here to prevent that from
 10 moving down and therefore you cannot have the thing
 11 rotating. It will rotate as a mass but it will not lift
 12 off the top of the wall.
 13 So I thought the Commission needs to know that fact
 14 because that's what I'm beginning to thinking about it
 15 all.
 16 Thank you.
 17 MR CHOW: Thank you, Prof McQuillan. What actually
 18 I intended to ask you was on those diagrams that you
 19 prepared on your slide, and I can see that you are
 20 basically explaining it again on your sketch.
 21 A. Yes.
 22 Q. This is really what I'm interested in, because what
 23 I can do at most, as a layman, is to try to understand
 24 it, how it works.
 25 Can I refer you to slide number 9 first, because

Page 172

1 I understand this is the first slide that you started to
 2 explain --
 3 A. Yes.
 4 Q. Am I right in understanding that what you are trying to
 5 do is to show to the Commission that assuming the blue
 6 block of concrete, if it fails, then first of all it has
 7 to kind of tilt up?
 8 A. Yes.
 9 Q. And your approach is, in order to stop it from tilting
 10 up, we have reinforcement coming in from the bottom of
 11 the EWL slab, and we also have reinforcement coming in
 12 from the bottom of the OTE slab, that stops it from
 13 tilting up.
 14 Am I right in thinking that -- well, perhaps before
 15 that, I would like to, if I may, try to establish a few
 16 common grounds on a matter of principle and then I can
 17 ask questions on that basis. Am I right that
 18 a structure, for example a structure that we are looking
 19 at, the box station, in reinforced concrete, actually
 20 can be designed in more than one way to make it work?
 21 If I can give an example, for example, the
 22 connection that we are looking at, it can be designed as
 23 a hinge joint or it can be designed as a fixed joint.
 24 Are we --
 25 A. No, in a box structure like this, you would never be

Page 173

1 able, from a practical detailing point of view, to make
 2 it work as a hinge.
 3 Q. Right. Perhaps it's not the best example. What I'm
 4 trying to say is we can make a structure behave
 5 differently, and insofar as we decide on a particular
 6 mechanism that is going to work, then we carry out our
 7 analysis accordingly?
 8 A. That's lost on me, I'm afraid. Are you speaking in the
 9 context of this joint?
 10 Q. Yes.
 11 A. So let's just go through it again. What we've had is
 12 Prof Au's approach. You have Mr Nick Southward's
 13 approach. You have my approach. It all depends on the
 14 basic assumptions that you make. I have stated my
 15 assumptions. Mr Southward has stated his. I'm afraid
 16 Prof Au's is much too technical and theoretical for me
 17 to understand. That's why I suggested to the Commission
 18 we could all go around in circles on this, we are all
 19 going to stick to our posts and our opinion. If the
 20 government is really serious and thinks that that joint
 21 is defective, according to Prof Au's calculations, go
 22 ahead and commission a finite element model and
 23 analysis, because that's the only fair way to put the
 24 matter to bed.
 25 Q. Perhaps we don't need to go into that high level of

Page 174

1 technicality, not typical of --
 2 A. Then I suggest it needs to be dropped because it's just
 3 everybody stating their own opinion and we can all back
 4 our own opinions.
 5 Q. Can you just help me to understand your reasoning, just
 6 for the moment; right?
 7 A. The reasoning is to stop that rotating.
 8 Q. Okay.
 9 A. And because --
 10 Q. Sorry, yes.
 11 A. I've already demonstrated that the problem is that once
 12 you do away with the U-bars on top of the wall, you do
 13 not have sufficient anchorage in the vertical bar to
 14 actually hold it down.
 15 Q. Yes.
 16 A. You need some other way of holding that down.
 17 So when you go to my next slide, please, it cannot
 18 rotate because the U-bar coming in from the right-hand
 19 side is locked into the D-wall, which is a massively
 20 reinforced piece of structure, and the bottom of the EWL
 21 slab likewise is locked into this massive D-wall
 22 reinforcement.
 23 So it cannot move. The whole thing -- sorry, the
 24 whole thing has to move as an entity, in which case we
 25 revert to Atkins' calculations and they have

Page 175

1 demonstrated that if one considers that the breakage
 2 point is at the bottom of the EWL slab, as would be
 3 logical, it is amply reinforced to cater for that
 4 possibility.
 5 So Atkins have pre-empted that.
 6 Q. I'm just trying to understand. You mentioned that the
 7 whole thing has to move as an entity. Am I right in
 8 thinking that at least we have to make sure that the
 9 reinforcement inside that entity, for example, the blue
 10 blocks, remain intact, for it to turn as one piece?
 11 A. Mmm.
 12 Q. So someone has to do the calculation to make sure that
 13 the reinforcement inside the blue block would be able to
 14 keep the block as intact and allow it to move in your
 15 diagram, like in your diagram.
 16 A. Go to my next slide, please. Sorry, that's how it would
 17 actually -- that's the failure mechanism --
 18 Q. Yes, but we have to ensure that when it fails, it
 19 manages to remain in that shape.
 20 A. Sure. Please go to the next one. So that is how the
 21 block is reinforced. I put it to you that for that to
 22 now turn -- and it will tend to turn, because the EWL
 23 slab is heavier and more massive, so there will be
 24 a tendency for it to turn, and that's where the very
 25 heavy bending moment comes into play -- but what happens

Page 176

1 is the D-wall then has to deflect for the whole -- it's
 2 as if you take a T and try to twist the T, the stem has
 3 to twist with it, so the D-wall has to turn as an entity
 4 and then it goes to sort of a catenary -- or a
 5 deflective mode.
 6 Q. Perhaps I can ask another question then. When you say
 7 we have reinforcement coming into the diaphragm wall
 8 from the EWL slab, do we need to check whether the
 9 quantity of the reinforcement is adequate, or we just
 10 tell our clients, say, "Because we have some
 11 reinforcement there, don't worry about it, don't even
 12 check"?
 13 A. If you want to check it, check it, but the thing is
 14 functioning as intended so why go to the trouble of
 15 checking it. We all as engineers, practical engineers,
 16 intuitively know that the thing is performing as
 17 intended. You have at the moment four layers of rebar
 18 coming in from the EWL slab. Go ahead and do the check.
 19 It's acting as it should.
 20 Q. I'm fine with your answer. So you also believe it is
 21 worthwhile to do a check to ensure the quantity is
 22 adequate to make it perform like you describe?
 23 A. If you ask me to do the check, I would tell you it's
 24 a waste of time and money. The thing is functioning as
 25 intended at present. You've got to use engineering

Page 177	Page 179
<p>1 judgment.</p> <p>2 CHAIRMAN: Mr Chow, forgive me if I'm wrong, but are you</p> <p>3 saying that what needs to be -- because at the top of</p> <p>4 the diaphragm wall is a matter for the as-built</p> <p>5 drawings, and there's some concern as to the as-built</p> <p>6 drawings, that there's therefore some concern as to</p> <p>7 exactly what the reinforcing is?</p> <p>8 A. This is not exactly the point I'm trying to make.</p> <p>9 CHAIRMAN: Okay, so --</p> <p>10 A. At the moment, there is a difference in expert opinion</p> <p>11 between Prof Au and the other three experts.</p> <p>12 CHAIRMAN: Yes.</p> <p>13 MR CHOW: And the difference stems from the fact that</p> <p>14 Prof Au believes that someone has to do the calculation,</p> <p>15 just to make sure, to verify, that the connection is</p> <p>16 strong enough.</p> <p>17 CHAIRMAN: No, no, I appreciate that.</p> <p>18 MR CHOW: However, what we have heard from Prof McQuillan is</p> <p>19 that, "No, no, no, it is not necessary. According to my</p> <p>20 professional experience and applying my professional</p> <p>21 judgment, it is so obvious because we see we have</p> <p>22 reinforcement coming in from the bottom of the EWL slab</p> <p>23 and we have reinforcement coming in from the bottom of</p> <p>24 the OTE slab. So that is so obvious that it's adequate;</p> <p>25 we don't need to do calculation."</p>	<p>1 But what's being said at the moment is not, "I am</p> <p>2 telling you, the government, how you should act out of</p> <p>3 caution"; "I am saying to you: I don't think it's</p> <p>4 necessary. That's my professional opinion. What you</p> <p>5 wish to do with that, because other opinions are perhaps</p> <p>6 a little different, that's a matter for you." That's as</p> <p>7 I've understood it.</p> <p>8 A. Can I also add, sir -- that if, Mr Chow, you are</p> <p>9 relaying this back to Prof Au, I think he needs --</p> <p>10 because I've seen no evidence of it -- I think he needs</p> <p>11 to take the horizontal dowel action into account when</p> <p>12 he's doing his analysis.</p> <p>13 MR CHOW: No doubt I believe that Prof Au, if he is</p> <p>14 instructed to carry out that exercise, he will take</p> <p>15 whatever he thinks is appropriate, including the dowel</p> <p>16 bar or the dowel action.</p> <p>17 CHAIRMAN: We may well recommend -- we haven't been able to</p> <p>18 discuss or reach any agreement; we haven't even finished</p> <p>19 the expert evidence yet -- we may well recommend out of</p> <p>20 an abundance of caution and in order to satisfy that</p> <p>21 what appears to be a reasonably simple set of</p> <p>22 mathematical -- let me rephrase that, probably</p> <p>23 bewilderingly difficult and complex mathematical</p> <p>24 calculations, but nevertheless achievable in a short</p> <p>25 period of time -- should be carried out.</p>
Page 178	Page 180
<p>1 CHAIRMAN: Okay, so the point --</p> <p>2 COMMISSIONER HANSFORD: With respect, we have also heard</p> <p>3 that from Mr Southward and we've also heard that from</p> <p>4 Dr Glover.</p> <p>5 MR CHOW: Yes.</p> <p>6 CHAIRMAN: And the point I'm making is if there is no debate</p> <p>7 as to what's actually in there, in the sense that the</p> <p>8 necessary through-bars are there and the other bars that</p> <p>9 are shown, and we are all agreed that, so it's really</p> <p>10 a case of, is it not, and as the professor has put it</p> <p>11 very well, he has his basic scientific assumptions and</p> <p>12 he stands by the fact that it's a perfectly proper and</p> <p>13 long-lasting structure. He's supported by two of the</p> <p>14 other experts. Prof Au, however, has concerns. He</p> <p>15 doesn't say it's going to fail. He's saying, "I'd like</p> <p>16 to double-check", and he's got certain mathematical</p> <p>17 calculations that can be carried out to ensure that</p> <p>18 takes place.</p> <p>19 COMMISSIONER HANSFORD: Which he thinks he can do in half</p> <p>20 a day.</p> <p>21 MR CHOW: Or a couple of days.</p> <p>22 CHAIRMAN: And we are not going to say, I doubt, "Don't do</p> <p>23 that", because (a) we can't stop him from doing it and</p> <p>24 (b) we can't stop the government from saying to him,</p> <p>25 "You know what, that's a very good backstop insurance."</p>	<p>1 COMMISSIONER HANSFORD: I think bewildering to laypeople and</p> <p>2 even laypeople that may have a degree in civil</p> <p>3 engineering, but they are not bewildering to someone of</p> <p>4 the calibre of Prof Au.</p> <p>5 MR CHOW: Then if I may move on to my last question. It's</p> <p>6 about your conclusion, paragraph 126, Prof McQuillan,</p> <p>7 page 49. I just want to clarify what you meant, because</p> <p>8 it appears to me you have put in a number of</p> <p>9 qualifications. What you said is:</p> <p>10 "In conclusion, on the basis of all the evidence</p> <p>11 available, I am satisfied and in no doubt that the</p> <p>12 structural integrity of the EWL slab has not been</p> <p>13 compromised as a result of changes of detail and</p> <p>14 substandard workmanship incidents, and that there are no</p> <p>15 safety issues or concerns."</p> <p>16 Am I right in understanding that you come to that</p> <p>17 conclusion first of all on the basis of the evidence</p> <p>18 available up to 6 January, that is the date of your</p> <p>19 report, and by that I mean the opening-up, the result of</p> <p>20 the opening-up?</p> <p>21 A. It wasn't. When I talked about substandard workmanship</p> <p>22 incidents, I was also referring, as I said in my</p> <p>23 presentation, to the honeycombing, voiding, the</p> <p>24 spalling, those other things.</p> <p>25 Q. Okay. So the substandard workmanship incident, you are</p>

Page 181

1 not simply referring to the five bar cutting incidents
2 that have been the subject matter of --
3 A. The five bar what, sorry?
4 Q. From the factual evidence -- we spent a lot of time --
5 A. Sorry, yes, the NCRs.
6 Q. So you are not referring to those incidents only?
7 A. No, because as I understand it they were rectified, or
8 some of them were.
9 What I'm referring to is -- there's two groupings
10 here. There are those issues with the concreting
11 themselves, and then there's the issues with the
12 couplers, and that has really been a work in progress.
13 So the longer that goes, I think I've said earlier, the
14 more and more and more satisfied I am becoming that
15 there isn't a problem.
16 MR CHOW: I have no more questions for you, Mr McQuillan.
17 Thank you very much.
18 WITNESS: Thank you.
19 CHAIRMAN: Thank you, Mr Chow.
20 MR SO: Some very short questions.
21 CHAIRMAN: Yes, Mr So.
22 Cross-examination by MR SO
23 MR SO: Professor, can I draw your attention to paragraph 56
24 of your expert report, please. Professor, there you
25 have raised, presumably, a rhetorical question, as to

Page 182

1 when you were invited to give expert opinion as to the
2 cutting rebar incident, and there you have asked the
3 questions that one must ask oneself when considering
4 this evidence:
5 "What are the advantages, if any, in cutting
6 a threaded bar because, intuitively, it will take time
7 to do it?"
8 I wish to show you a photograph. I think this
9 photograph might have been brought to your attention
10 already when you were compiling your expert report.
11 That is in bundle C12, page C8138.
12 Professor, is this photo familiar to you?
13 A. It is.
14 Q. A lingering question that this Commission might have
15 would be, as you rightly put it, if there were no
16 advantages, why cut a threaded rebar, and based on your
17 expert opinion -- no doubt we have factual evidence
18 showing that there was cutting of the threaded ends --
19 so what are the reasons?
20 A. I can't answer why one would do it. All I know is that
21 occurred -- after those particular incidents that led to
22 NCR -- what was it, 157?
23 Q. Yes, 157.
24 A. Those were actually rectified. So I would assume that
25 the whole supervision from Leighton and MTR would have

Page 183

1 improved after that. They would have been on the
2 lookout for such things happening.
3 Q. With respect, Professor, that's not quite my question.
4 My question was: you give us expert evidence on the one
5 hand that you see no advantages in cutting it.
6 A. Yes.
7 Q. But on the other hand there are undisputed factual
8 evidence that they were in fact being cut. So how can
9 these two be reconciled?
10 A. I can't deny there were incidents of cutting. In fact,
11 one of the current tests -- and I haven't details of
12 it -- showed there was a cut unconnected bar in the
13 West Wall or something. I don't know, I haven't seen
14 the details of it. So yes, it happened, but those must
15 have been very limited, sporadic incidents.
16 Q. Professor --
17 A. Sorry, just to finish that -- I think earlier I was
18 trying to make the point from my very simple analysis of
19 the results to date that there isn't any evidence there
20 of bars being shortened.
21 Q. Thank you.
22 The other point that I wish to clarify with you is
23 in paragraph 115 of your expert report. In
24 paragraph 115, that is what you opined, and you said it
25 is in your opinion that the proposal, that is the

Page 184

1 holistic proposal and the opening-up, "is an 'overkill'
2 in terms of its scope. My main issue is with the nature
3 and extent of the invasive investigation work currently
4 being carried out. In my opinion it is unnecessary,
5 pointless and a waste of time and resources to continue
6 with opening up the EWL slab soffit at the east
7 diaphragm wall."
8 Just to summarise your expert opinion so that I do
9 not get it wrongly, so is it -- let's just put aside the
10 code requirement for the time being. In terms of your
11 expert opinion and in terms of structural integrity, is
12 it your evidence that the EWL slab soffit simply does
13 not require reinforcement bars there in order to ensure
14 the structural integrity?
15 A. I stated that fairly emphatically in my opening
16 presentation and actually paused to repeat it.
17 Q. So in other words -- I'm not trying to be rude or blunt
18 in any way -- if they are not reinforcement bar, simply
19 there's nothing inside, or if we put bamboo inside, it
20 would still not affect the structural integrity; is that
21 your evidence?
22 A. You have correctly understood it, yes. I think also
23 that comment there was discussed at the meeting of the
24 experts, and is minuted. I think all the experts agreed
25 it was a waste of resource, continuing to explore the

Page 185	Page 187
<p>1 soffit of the EWL slab.</p> <p>2 Q. Let me put that another way. So the Fang Sheung workers</p> <p>3 building or installing those rebars in that EWL slab</p> <p>4 soffit would be simply a waste of both effort and time</p> <p>5 and money; is that your evidence?</p> <p>6 A. I don't get your question, sorry.</p> <p>7 CHAIRMAN: I don't know. I think one has to be careful</p> <p>8 here. I don't mean this critically, Mr So. But</p> <p>9 I understand what Prof McQuillan is saying is that in</p> <p>10 purely engineering terms, when looking to the integrity</p> <p>11 of the structure, you don't need -- as you put it quite</p> <p>12 dramatically, they could well be made of bamboo; it</p> <p>13 wouldn't have made any difference.</p> <p>14 That, however, is a very different question from one</p> <p>15 of what has been agreed to be built --</p> <p>16 A. Yes.</p> <p>17 CHAIRMAN: -- what is required by the various standards and</p> <p>18 the code to be built, and therefore should be built.</p> <p>19 MR SO: That's exactly my point, sir.</p> <p>20 CHAIRMAN: Of course. That's absolutely right.</p> <p>21 So it's not a waste at all. It's the same as</p> <p>22 Dr Glover earlier on, when he gave his evidence, spoke</p> <p>23 of research and development and he spoke of creativity</p> <p>24 in engineering, elegance in engineering, and that is the</p> <p>25 way to go, obviously. But equally, much more</p>	<p>1 that I have described, just for benefit, in my report</p> <p>2 and the appendix -- when the trench is dug and the</p> <p>3 reinforcement cage is placed inside that trench, it's</p> <p>4 done in an environment where the trench is completely</p> <p>5 filled with bentonite. The concrete, as it is being</p> <p>6 pumped in, being slightly denser than the bentonite,</p> <p>7 displaces it from the bottom up, and when the concrete</p> <p>8 finally gets to the top, you actually overcast it above</p> <p>9 the formation level, because there will be contamination</p> <p>10 by way of soil material. You will also get a weaker</p> <p>11 grade of concrete. And that all comes up to the top.</p> <p>12 That's what I refer to as the top sacrificial part. So</p> <p>13 it's necessary to chop that off and get down to the</p> <p>14 proper formation level and sound concrete.</p> <p>15 COMMISSIONER HANSFORD: And that's quite normal?</p> <p>16 A. Quite normal.</p> <p>17 COMMISSIONER HANSFORD: I would emphasise that in asking</p> <p>18 these questions, in some cases I perhaps do know the</p> <p>19 answer but I want to make sure the Commission fully</p> <p>20 understands.</p> <p>21 A. Sure.</p> <p>22 COMMISSIONER HANSFORD: The second one is on paragraph 69,</p> <p>23 your last bullet, on page 33, and in the last sentence</p> <p>24 you talk about heat scorching of the bar. To the extent</p> <p>25 we need to understand that, can you explain?</p>
Page 186	Page 188
<p>1 conservative engineering, putting in a wall that's twice</p> <p>2 as thick as it should be doesn't mean that the workers</p> <p>3 are wasting their time. It just means that they are</p> <p>4 working to ensure the integrity of a more conservative</p> <p>5 design.</p> <p>6 MR SO: I think my point is already picked up by the</p> <p>7 Commission. That's exactly my point.</p> <p>8 I have no further questions. Thank you.</p> <p>9 Questioning by THE COMMISSIONERS</p> <p>10 COMMISSIONER HANSFORD: I have just one or two, in fact</p> <p>11 probably three or four, i's to dot and t's to cross</p> <p>12 which I thought perhaps if I could do them now, it might</p> <p>13 be helpful.</p> <p>14 MR PENNICOTT: Please, sir.</p> <p>15 COMMISSIONER HANSFORD: Just going to your report, and it's</p> <p>16 to help me really. The first one is in your</p> <p>17 paragraph 54, Prof McQuillan, on page 28, and the first</p> <p>18 sentence:</p> <p>19 "It should also be highlighted, as previously</p> <p>20 mentioned, that the cutting down of D-walls is a normal</p> <p>21 construction event."</p> <p>22 Can you say a bit more about that? I mean --</p> <p>23 A. It's qualified by the next sentence, I would suggest.</p> <p>24 COMMISSIONER HANSFORD: Okay.</p> <p>25 A. In other words, when the D-wall is formed, the process</p>	<p>1 A. I think if we went to the photograph, you can see that.</p> <p>2 These were photographs taken at the CIC.</p> <p>3 COMMISSIONER HANSFORD: So we go to your appendix, do we?</p> <p>4 A. Please.</p> <p>5 COMMISSIONER HANSFORD: Appendix VI, one of those</p> <p>6 photographs, 19 onwards.</p> <p>7 A. Yes.</p> <p>8 MR PENNICOTT: That's on page 94.</p> <p>9 COMMISSIONER HANSFORD: Page 94?</p> <p>10 MR PENNICOTT: I think so. Maybe not. Hold on.</p> <p>11 A. Yes, go on, because this is the start of -- yes, go on</p> <p>12 a little bit again. Yes. Sorry, go back.</p> <p>13 So I think if you blow up that photograph, if you</p> <p>14 enlarge it -- you see the little cutting to the left?</p> <p>15 COMMISSIONER HANSFORD: Yes.</p> <p>16 A. And you can see it's like of a shade of blue. That's</p> <p>17 the cut end, that has been heat scorched.</p> <p>18 COMMISSIONER HANSFORD: What I want to get to is what's the</p> <p>19 significance of heat scorching?</p> <p>20 A. I'm not a metallurgist but if you heat the steel up too</p> <p>21 much, it will alter its properties.</p> <p>22 COMMISSIONER HANSFORD: That's the point you're making?</p> <p>23 A. That's the point I'm making.</p> <p>24 COMMISSIONER HANSFORD: So the point you're making is</p> <p>25 a portable electric disc cutter or grinder could alter</p>

Page 189

1 the properties?

2 A. Could, could. I'm not an expert in that field.

3 COMMISSIONER HANSFORD: That covers that point. Thank you

4 Bear with me.

5 Then paragraph 121, perhaps a similar point -- well,

6 not a similar point -- paragraph 121 on page 48. You

7 talk about welding. I think this is the first time

8 we've had this in this Commission so far. You say:

9 "... if this is an isolated incident and there are

10 no adjacent rebars similarly compromised, the coupled

11 joint can be left as is or welded."

12 Then you go on to say about the disadvantages of

13 welding.

14 A. Mm-hmm. So if you -- I think it's in the Code of

15 Practice 2004. So you are allowed actually to lap the

16 rebar. You are allowed to use couplers, or you are

17 allowed in some instances to weld it.

18 COMMISSIONER HANSFORD: Right. And you are saying that

19 could be done but there are potential drawbacks --

20 A. My own feeling is you would lose some of the strength of

21 the bar, but I could be wrong.

22 COMMISSIONER HANSFORD: But in any event, I think you've

23 clearly told us it's not necessary?

24 A. Well, what I said earlier was that I'm sure that Arup,

25 in implementing phase 3 of the holistic proposal, will

Page 190

1 be checking whether anything needs to be done with this

2 particular coupler or not.

3 COMMISSIONER HANSFORD: Dr Glover has previously told us

4 about how the structure can bridge over isolated

5 incidents.

6 A. Sure, and if that is the only isolated incident, I would

7 not have any qualms at all.

8 COMMISSIONER HANSFORD: Thank you. On the same page,

9 paragraph 124, you say in your second -- well, the

10 whole -- let's read the first two or three sentences:

11 "One thing which is becoming apparent is that full

12 100 per cent engagement of the threaded bars into the

13 couplers was seldom achieved, if at all. Although this

14 is of no structural relevance, for reasons explained

15 herein, it suggests there were site factors, which in my

16 opinion may not constitute poor workmanship, which

17 prevented the rebars from being fully screwed into the

18 couplers."

19 What do you mean by that?

20 A. As well as dabbling in DIY I would do a bit of motor

21 mechanics.

22 COMMISSIONER HANSFORD: Aha!

23 A. There are occasions -- when you are screwing a thread or

24 a stud into an engine block, for example -- if you

25 lubricate it slightly first to reduce the friction, it

Page 191

1 goes in a lot easier.

2 COMMISSIONER HANSFORD: Yes.

3 A. What we are dealing with here are couplers which have

4 been cast into a D-wall, and when they are inspected

5 there could still be some residual dust or

6 contamination, or whatever it is; I don't know. Plus

7 the fact that these are heavy starter bars with threaded

8 ends, they would go in a lot easier if they were

9 lubricated is my proposition.

10 COMMISSIONER HANSFORD: All right.

11 A. They reach a point, and I think Paulino Lim actually

12 mentioned this, that there comes a point where they meet

13 resistance and even the coupler will try to turn

14 an extra thread or two.

15 I'm only postulating that. I think there could be

16 practical reasons why.

17 The other obvious thing that has been discussed is

18 if the site -- if the standard quality was to achieve

19 two threads, that might be all they did.

20 COMMISSIONER HANSFORD: Okay.

21 A. If it was deemed to satisfy.

22 COMMISSIONER HANSFORD: I don't think I want to go there --

23 A. No.

24 COMMISSIONER HANSFORD: -- but in hindsight, perhaps

25 a little spray of lubricant might have helped.

Page 192

1 A. It would, actually, from a practical point of view, it

2 would have made the couplers -- engaging the couplers

3 would have been an easier process.

4 COMMISSIONER HANSFORD: Thank you. My final point, I don't

5 know if it's a t to be crossed or an i to be dotted --

6 on page 119, which is the joint statement of experts,

7 you have this second sentence to paragraph 6, which

8 says:

9 "Moreover, it was noted during the site inspection

10 that the EWL soffit slab openings were creating safety

11 hazards for the staff on site."

12 A. Yes.

13 COMMISSIONER HANSFORD: You then go on to say that's one of

14 the reasons why you all as joint experts felt that

15 shouldn't be continued. Can you just explain that

16 "safety hazard"?

17 A. On the first site inspection, which is on the 19th,

18 I think --

19 MR PENNICOTT: 17th.

20 A. -- the 17th, I'm sorry, we were actually taken into one

21 of the exhaust ducts above the line. Pretty cramped

22 conditions so we were all on what was effectively

23 a large skateboard and sliding ourselves along until it

24 we got to the right location. There were no workmen in

25 action at the same time, but we tried to visualise --

Page 193

1 and the MTR staff were explaining to us how difficult it
2 was -- in fact they could only work 15 minutes at
3 a time, because of the position they were in, the
4 limited headroom, the difficulty and the dust.
5 COMMISSIONER HANSFORD: Sort of like painting the ceiling in
6 the Sistine Chapel.
7 A. It just wasn't a happy experience for them.
8 COMMISSIONER HANSFORD: Is this still continuing?
9 A. That I don't know. That was one of the reasons we
10 advocated shifting attention from the soffit of the slab
11 and doing more meaningful investigation up top.
12 COMMISSIONER HANSFORD: So your joint expert opinion was
13 this was a bit of a safety hazard?
14 A. There was absolutely no dissent on that point.
15 COMMISSIONER HANSFORD: However, if MTR felt they wished to
16 continue with this and no doubt introduce appropriate
17 safety measures, that's up to them?
18 A. Well, I think we as experts were actually discussing the
19 thing with the MTR people on staff. I don't think they
20 were happy about it either.
21 COMMISSIONER HANSFORD: So it would be better not to do it
22 and it's not needed?
23 A. It may well all be done at this stage anyway.
24 COMMISSIONER HANSFORD: It may all well be done so let's not
25 labour it. Thank you very much. My sentence is all

Page 194

1 joined up.
2 MR BOULDING: Sir, may I just point out that it wasn't MTR
3 who felt they wished to continue like that, it was
4 government. I made it clear to you and indeed the
5 Chairman in the little meeting we had just before
6 Christmas that I was going to get on the phone
7 immediately, in the light of that, because as we have
8 just heard it was a dangerous environment, the workers
9 were using oxygen, and we wanted to stop that
10 immediately.
11 CHAIRMAN: All right.
12 Anything arising at all?
13 MR SO: Can I just ask one question arising out of
14 Prof Hansford's questioning?
15 CHAIRMAN: Yes, of course.
16 Further cross-examination by MR SO
17 MR SO: When you were giving the opinion in answering
18 Prof Hansford's question as to the opening-up is not
19 necessary, when you say "not necessary" do I understand
20 it correctly that it is not necessary in terms of
21 structural integrity concerns, it is not necessary; is
22 that your evidence?
23 A. Just repeat exactly what you mean, would you, please?
24 Q. Of course. When you answered Prof Hansford's question
25 and you expressed the opinion being that the opening-up

Page 195

1 is not necessary --
2 COMMISSIONER HANSFORD: This particular opening-up?
3 MR SO: Sorry?
4 COMMISSIONER HANSFORD: Sorry to interrupt you, but the
5 point was about the soffit slab --
6 MR SO: Yes, I'm referring to the opening-up of the soffit.
7 When you say it's not necessary, do you mean not
8 necessary in terms of structural integrity concerns, it
9 is not necessary?
10 A. Correct, and I think we have enough samples that already
11 have been done, because don't forget, you are still
12 continuing to look at the top of the NSL slab which is
13 exactly the same condition as the underside of the EWL
14 slab. You are getting more and more and more samples
15 which are proving and Dr Glover has been telling you on
16 a statistical basis the implication of that. It's all
17 looking very rosy.
18 So we are actually over-providing for an area which
19 is not safety-critical but is just code-compliant.
20 MR SO: Thank you. No further questions.
21 CHAIRMAN: Good. Professor, thank you very much indeed.
22 I'm so sorry.
23 MR PENNICOTT: I have no re-examination.
24 CHAIRMAN: My apologies, Mr Pennicott.
25 MR PENNICOTT: Not at all, sir.

Page 196

1 CHAIRMAN: Prof McQuillan, thank you very much indeed. As
2 with all the other experts, it's been of immense help to
3 us. We do appreciate just how much work you have put
4 into this, in all sorts of ways. Thank you very much
5 indeed.
6 WITNESS: Thank you.
7 (The witness was released)
8 H O U S E K E E P I N G
9 CHAIRMAN: The next step I think is presentation of written
10 submissions.
11 MR PENNICOTT: Yes.
12 CHAIRMAN: I think you mentioned something to me --
13 MR PENNICOTT: Sir, at the moment, I think, unless somebody
14 behind me stands up and makes an application, we are
15 sticking, as far as I'm concerned, with plan A, which is
16 the written closing submissions from all parties, all
17 involved parties, are due on Monday evening, close of
18 business on Monday. We will serve those --
19 CHAIRMAN: This coming Monday?
20 MR PENNICOTT: Yes, sir. And obviously you have already
21 made directions regarding the number of pages and so
22 forth that everybody's got to try to stick to.
23 CHAIRMAN: Yes.
24 MR PENNICOTT: The only caveat to that being that the MTR
25 have been asked by the Commission to update us on

Page 197

1 ongoing implementation of management issues.
2 COMMISSIONER HANSFORD: The Turner & Townsend
3 issues/recommendations.
4 MR PENNICOTT: That's right. So that's the position.
5 Then the Commission's legal team will serve our
6 closing submissions on Wednesday, close of business, and
7 then we will re-convene for oral closing submissions
8 next Friday, and then those submissions will continue
9 the following Monday and Tuesday.
10 As I say, that is subject to anybody standing up
11 behind me and saying they want to do something
12 different, but that's the current state of play.
13 Can I just say, if there's any doubt or ambiguity
14 about it, that in terms of the oral presentation, my
15 understanding is that when you read out how long each
16 party was to be given for their oral presentations, that
17 was also the order in which they should be made. So
18 that means, as I understand it, the government will be
19 going first, followed by MTR, followed by Leighton,
20 followed by Intrafor, followed by China Technology,
21 followed by Fang Sheung, followed by Atkins, Pypun and
22 ourselves.
23 So, sir, that is the menu.
24 There is one procedural matter which was raised with
25 me at lunchtime which I'm afraid I have not had

Page 198

1 an opportunity of taking instructions on, nor speaking,
2 if I may, to the Commission, but I'm going to raise it
3 now, just in case anybody else has any views.
4 Sir, you will be aware that all involved parties,
5 pursuant to the Rules of Practice and Procedure that
6 were made, have had an ongoing obligation to provide the
7 Commission with documentation that comes into existence,
8 and it is the case that certainly -- let's, if I may,
9 use the government as an example: they have been
10 assiduous in giving us further documentation every seven
11 days, normally on a Friday, so that we can have a jolly
12 weekend. And the issue that has been raised with me,
13 of course, is: now we've got to where we've got to, the
14 end of the evidence, both factual and expert, is that
15 an obligation that needs to continue?
16 Sir, so far as the opening-up records are concerned,
17 it seems to me pretty obvious that that needs to
18 continue, that we need to receive from the MTR or
19 whatever channel it is that we are receiving the
20 material on the opening-up, that that needs to continue.
21 What I need to take instructions on is whether anything
22 other than the opening-up needs to continue.
23 The problem I guess we have is that -- on the one
24 hand, the Commission might like to be informed of any
25 relevant material that is coming into existence as we go

Page 199

1 forward. On the other hand, the problem is, of course,
2 none of the other involved parties will have
3 an opportunity -- they will see it because it will be
4 uploaded in the usual way, but nobody will actually have
5 an opportunity of saying anything about it if they wish
6 to do so. So I'm caught in a bit of a quandary here,
7 and I raise it just in case anybody else has a view.
8 (Commissioners conferring)
9 CHAIRMAN: Yes, we're agreed that it should stop, in the
10 sense that obviously we don't need general documentation
11 to come in. Obviously if something of real importance
12 comes in that may well be material to the final report,
13 that would be a different matter, so common sense is
14 always used, and obviously we would need to be kept
15 informed of the various opening-up records.
16 MR PENNICOTT: Yes. So if, sir, the ongoing -- I am really
17 trying to assist the involved parties, and if I may so
18 particularly the government, who are the ones who
19 normally are the party giving us more and more
20 information. To give a degree of certainty about the
21 situation, if we can say now, "Right, draw a line in the
22 sand, no more documents are required from anybody, apart
23 from obviously the opening-up material."
24 CHAIRMAN: And anything of very real materiality that just
25 has to be brought to the attention of all the parties.

Page 200

1 MR PENNICOTT: Sir, you've said it and put it on the
2 transcript. Perhaps I could invite you to make some
3 form of direction so the parties are clear on that. We
4 can probably draft something and agree it.
5 CHAIRMAN: Yes, certainly.
6 MR PENNICOTT: So that everybody knows where they are.
7 CHAIRMAN: Yes, certainly. Thank you very much.
8 MR PENNICOTT: Apart from that, I have nothing else to say
9 at this juncture.
10 MR SHIEH: Mr Chairman, two things. First in relation to
11 the grade of steel bars that were used, I now have
12 instructions. Up to around May 2016, grade 460 was
13 used, and from around May 2016 onwards, grade 500 was
14 used.
15 CHAIRMAN: Thank you.
16 MR SHIEH: The second point --
17 COMMISSIONER HANSFORD: Sorry, that's very helpful, although
18 there must be a little fuzziness as to when the 460 all
19 ran out and when the 500 started to be used.
20 MR SHIEH: There could --
21 COMMISSIONER HANSFORD: I have to say, to be fair to you,
22 you had said "from around".
23 MR SHIEH: "From around", yes. I am told -- this could mean
24 further checking, in terms of the time line -- which
25 particular bit would have used 500, subject to further

Page 201	Page 203
<p>1 checking of the time line, it's only the Hong Kong 2 Coliseum part that would have used grade 500. 3 COMMISSIONER HANSFORD: Just the Hong Kong Coliseum? 4 MR SHIEH: Yes. 5 COMMISSIONER HANSFORD: On the NSL slab, or both? 6 MR SHIEH: That I need to check. Perhaps we can communicate 7 with the Commission in writing. 8 COMMISSIONER HANSFORD: That would be helpful. 9 MR SHIEH: Perhaps we can check it in greater detail and 10 then communicate that to the Commission's solicitors in 11 writing. 12 COMMISSIONER HANSFORD: That would be helpful. 13 MR SHIEH: The second point is I've had a word with Mr Chow 14 for the government. We both would wish the indulgence 15 of an extension of time for the filing of written 16 closing submissions, for the simple reason that we have 17 just finished the expert evidence today, and while, as 18 the Commission may see, the number of people appearing 19 inside this hearing room are dwindling, because other 20 people are working back in chambers or in some other 21 parts of the world; if we could have an extra day or two 22 to compile our written closing, we just believe that we 23 would be able to incorporate a fuller set of transcript 24 references and submissions to assist the Commission. 25 In terms of the amount of time needed, we know we</p>	<p>1 put all of the oral submissions into the Monday and 2 Tuesday, I think that's the 28th and the 29th. 3 COMMISSIONER HANSFORD: We have an absolute cut-off of 4 Tuesday evening. 5 MR BOULDING: Of course. 6 CHAIRMAN: At about what time? 7 COMMISSIONER HANSFORD: I think my flight is about midnight, 8 actually. 9 CHAIRMAN: That was meant to be sotto voce. 10 MR BOULDING: Sir, that's our position. 11 MR PENNICOTT: Sir, I wasn't, when I uttered those words 12 earlier, seeking to encourage anybody to make 13 an application, but I thought I had a hint that it was 14 coming. I also had a hint that the point Mr Boulding 15 has just made was also coming. And on the basis that 16 "here's one I prepared earlier", I have tried to work 17 out a timetable to see whether it would be feasible to 18 hear the oral closings just on the Monday and Tuesday of 19 the week after next, ie abandoning next Friday. 20 I've reached the view that provided I was to 21 sacrifice perhaps half an hour or so of the three hours 22 allotted to the Commission, and provided -- and this is 23 quite an important proviso -- everybody sticks exactly 24 to the amount of time that they have been allocated, it 25 would be possible to squeeze it into two days. But</p>
Page 202	Page 204
<p>1 are operating on a very compressed timeline, Mr Chow 2 told me that the government would wish to obtain 3 a one-day extension. For my part, I initially thought 4 we would wish to have another two days but then 5 I overlooked the fact that the Commission also needs to 6 file our written closing after we have. We asked until 7 Wednesday, so they would only have one day to digest our 8 written closing and to file there's, and then Friday we 9 come back immediately. That would be unfair to 10 everybody. 11 So I think on reflection we would ask for a one-day 12 extension as well, and then thereafter the Commission 13 may file theirs on Wednesday or Thursday so that we 14 could still be back on Friday. 15 MR BOULDING: Sir, can I just make two points. One is to 16 deal with Mr Shieh's point. First of all, Professor 17 wanted to know the grade of steel that we propose to 18 test, and it's grade 500. 19 The second point is that we've obviously been 20 working harder than most of the other lawyers in the 21 room because we think we can make Monday evening as 22 ordered, but if it be the case that extensions of time 23 are granted, we would certainly like to have the 24 extension as well. I wonder whether, if you are to 25 grant extensions, one way of dealing with it would be to</p>	<p>1 there simply won't be any latitude, I'm afraid. It's 2 going to be really tight. 3 (Commissioners conferring) 4 CHAIRMAN: We are both in agreement that the extensions or 5 the new timetable should be granted. By way of very 6 brief reasoning, I am aware, after so many witnesses 7 have given evidence, after so much evidence has been 8 received by the Commission, some of it quite complex and 9 a lot of it in opposition, and being aware of just how 10 many links there are, if you excuse the sort of pun, 11 that have to be -- the various links of evidence that 12 have to be joined together into a coherent whole, I am 13 particularly aware of just how important final written 14 submissions are. In fact, they are critical. 15 So, from my position, that's 100 per cent 16 acceptable. 17 As far as the Monday and Tuesday are concerned, we 18 will do that, but we will start that much earlier. I'm 19 not talking about a dawn patrol or anything but I think 20 we could start at 9.30. 21 MR PENNICOTT: If the Commission is in agreement that we 22 don't sit next Friday, the timetable that I had worked 23 out goes roughly like this, that we start at 9.30 on the 24 Monday, the government goes first and has an hour and 25 a half, until 11 o'clock. We have our 15-minute break.</p>

Page 205	Page 207
<p>1 The MTR has 11.15 until 12.45. We have lunch. Leighton 2 has from 2 o'clock to 3.30 -- and those are the three 3 parties that have got the hour and a half each. 4 It would then be Intrafor -- we would have the 5 break, Intrafor come on at 3.45, and they have an hour, 6 and we would be able to finish on that hypothesis of 7 4.45. On that Monday, there is therefore a little bit 8 of leeway, I think. 9 Then if we pitch up again at 9.30 on the Tuesday, it 10 would be China Technology to go first on the Tuesday, 11 from 9.30 to 10.30; Fang Sheung, 10.30 to 11.30, we have 12 the break; Atkins, 11.45 to 12.45, we have lunch; Pypun 13 2 o'clock to 3 o'clock; and then I would -- in theory 14 you have given me three hours but I will try to truncate 15 that to two and a half, but we would also need 16 the 15-minute break. So I'm afraid it's the Tuesday 17 night we would be slightly later, but still would be 18 over by 5.30 to 5.45, on that basis, if that's 19 satisfactory. 20 COMMISSIONER HANSFORD: Speaking for myself, that Tuesday 21 overrun is fine. I'm not sure I would encourage 22 a shortening of the Commission's closing report because 23 although all of the closing submissions are very 24 important for the Commission's report I think we feel 25 counsel to the Commission's closing will be particularly</p>	<p>1 parties must have the time that's been allocated, but it 2 occurs to me that when the parties put their submissions 3 in and revisit how long in reality they require, it may 4 well be that some of the parties who have been allocated 5 an hour might think that they don't quite need that 6 long, in which case, if they were to inform my learned 7 friend Mr Pennicott, it may well be that the timetable 8 could be re-jigged, say, Thursday of next week, to take 9 that into account. 10 CHAIRMAN: It also may be the case that we may think, having 11 read their written submissions -- and we would be very 12 cautious about this, of course, because we don't want to 13 restrict the ability of counsel to make their 14 addresses -- that we don't perhaps need as long as is 15 suggested. 16 MR BOULDING: Of course, sir. 17 MR PENNICOTT: I wholly endorse that. That seems to be 18 a highly helpful constructive suggestion. Since 19 Intrafor haven't said anything for about eight weeks, 20 perhaps they could be first to indicate how long they 21 need. 22 CHAIRMAN: Thank you. So a directive will be prepared, 23 simply to avoid any ambiguity as to the timetable ahead, 24 and that directive will contain periods of time. 25 Many, many years ago I had the pleasure of sitting</p>
Page 206	Page 208
<p>1 useful for us, and so I'm not sure we suggest that's 2 curtailed unless it has to be. 3 MR PENNICOTT: Sir, that's noted. I will give it some more 4 thought to see if there's any way of re-jigging this. 5 The alternative would be, I have to say, to have 6 a much longer day on the Monday -- 7 COMMISSIONER HANSFORD: Yes. 8 MR PENNICOTT: -- and perhaps not even finish until 9 6 o'clock on the Monday. 10 COMMISSIONER HANSFORD: And move China Technology -- 11 MR PENNICOTT: To last on the Monday. 12 CHAIRMAN: Absolutely ideal, yes. 13 COMMISSIONER HANSFORD: That would be better from my point 14 of view. 15 MR PENNICOTT: Sir, perhaps I will have a word with those 16 instructing me and some directive will go out to the 17 involved parties on that basis. That's fine. 18 CHAIRMAN: Yes. 19 MR PENNICOTT: My understanding is, therefore, the involved 20 parties will serve their written submissions on close of 21 business Tuesday and we will also push back a day and we 22 will serve our written submissions close of business on 23 Thursday. 24 CHAIRMAN: All right. Good. 25 MR BOULDING: Sir, just an observation. Obviously the</p>	<p>1 at the back of a Federal Court of Appeal in Miami, and 2 in Florida, along with a number of other states, as you 3 step up to the rostrum to commence your address, the 4 clerk of the court presses a button and a green light 5 goes on, and at the end of your 20 minutes a red light 6 goes on, and you then have to ask for permission to 7 continue, and on the one occasion that I was there, it 8 went on for 20 minutes and the red light went on and 9 counsel said, "Can I have permission to finish my 10 point?", to which the answer was no. 11 So I don't intend to be as draconian as that, but 12 obviously the Court of Appeal didn't think much of the 13 points that had been made in the 20 minutes, but if we 14 can keep to that timetable that would be excellent. 15 Is there anything further? 16 MR PENNICOTT: No, sir. Thank you very much. 17 CHAIRMAN: Thank you very much indeed. 18 (4.21 pm) 19 (The hearing adjourned until 9.30 am 20 on Monday, 28 January 2019) 21 22 23 24 25</p>

	INDEX	
		PAGE
1		
2		
3	DR MIKE GLOVER (on former oath)	1
4	Cross-examination by MR CONNOR (continued)	1
5	Cross-examination by MR TO	9
6	Re-examination by MR BOULDING	58
7	(The witness was released)	71
8	H O U S E K E E P I N G	72
9	PROF DON MCQUILLAN (sworn)	83
10	Examination-in-chief by MR PENNICOTT	83
11	Cross-examination by MR SHIEH	131
12	Cross-examination by MR CHOW	140
13	Cross-examination by MR SO	181
14	Questioning by THE COMMISSIONERS	186
15	Further cross-examination by MR SO	194
16	(The witness was released)	196
17	H O U S E K E E P I N G	196
18		
19		
20		
21		
22		
23		
24		
25		