

Page 1	Page 3
<p>1 Tuesday, 7 January 2020</p> <p>2 (10.04 am)</p> <p>3 DR LAU CHI WANG, JAMES (on former oath)</p> <p>4 Cross-examination by MR SHIEH (continued)</p> <p>5 MR SHIEH: Good morning, Mr Chairman, Mr Commissioner.</p> <p>6 Dr Lau, good morning.</p> <p>7 A. Good morning.</p> <p>8 Q. There are only a few areas that I wish to pick up with</p> <p>9 you. First, concrete strength. Can I ask you to look</p> <p>10 at bundle C13, page 8376. That's the Concrete Code.</p> <p>11 Can I draw your attention to 3.1.2:</p> <p>12 "Unless otherwise stated in this Code of Practice,</p> <p>13 the characteristic strength of concrete is that value of</p> <p>14 the cube strength at 28 days below which 5 per cent of</p> <p>15 all compressive test results would be expected to</p> <p>16 [fail]."</p> <p>17 Do you see that definition?</p> <p>18 A. Yes.</p> <p>19 Q. Does it follow, therefore, that the characteristic</p> <p>20 strength as defined by the code depends upon concrete</p> <p>21 cube test results?</p> <p>22 A. The concrete cube test result is supplied by the</p> <p>23 supplier, not the site thing, because the concrete</p> <p>24 supplier provides grade 40 -- for example, in this case,</p> <p>25 they provide grade 40 concrete to the client, to the</p>	<p>1 construction --</p> <p>2 A. Yes, agree.</p> <p>3 Q. -- and test them?</p> <p>4 A. Agree.</p> <p>5 Q. You said in your evidence that concrete cube test</p> <p>6 results done by testing in a laboratory should not be</p> <p>7 relied upon because they are always higher than the</p> <p>8 actual concrete strength used in the structure?</p> <p>9 A. Yes, that's right, because of -- even in terms of</p> <p>10 workmanship, in the preparation of the concrete cubes,</p> <p>11 the skilled worker compacts the concrete properly and</p> <p>12 cures them properly in the water tank, under constant</p> <p>13 temperature, for 28 days, before they were tested in the</p> <p>14 laboratory. So the strength is always high, no doubt</p> <p>15 about that.</p> <p>16 But the concrete inside the structure was cast by</p> <p>17 the contractor into the structural formwork, and the</p> <p>18 strength -- we don't know what sort of workmanship</p> <p>19 involved in the compaction, we do not know how good the</p> <p>20 curing is. So in general, generally the strength inside</p> <p>21 the concrete would be lower than the strength test in</p> <p>22 the laboratory; right?</p> <p>23 In this particular case, we found there are a lot</p> <p>24 of -- what I want to say is it depends on the</p> <p>25 workmanship in curing. This is a very important point.</p>
Page 2	Page 4
<p>1 contractor, and they also carry out a whole series of</p> <p>2 tests themselves which are also cube tests, and they are</p> <p>3 always higher than the strength supplied by the</p> <p>4 supplier. They can only guarantee -- if they supply</p> <p>5 grade 40, the supplier only guarantees grade 40</p> <p>6 strength. That's all. The strength actually tested by</p> <p>7 them are always higher than grade 40. But if you ask</p> <p>8 the supplier, if they supply grade 40 to you, can they</p> <p>9 guarantee grade 60? They wouldn't. That's the only</p> <p>10 strength they guarantee, grade 40. And this is the</p> <p>11 grade 40 concrete strength that we are going to use on</p> <p>12 this site.</p> <p>13 Actually, in Hong Kong -- that's the way we practice</p> <p>14 in Hong Kong. We rely on the concrete grade supplied by</p> <p>15 the supplier, which is grade 40 in this case. This</p> <p>16 happens all over Hong Kong; right?</p> <p>17 Q. Dr Lau, it is indeed recognised practice to take samples</p> <p>18 of concrete cubes during construction --</p> <p>19 A. Yes.</p> <p>20 Q. -- and to test them and to confirm that the concrete</p> <p>21 strength meets the design requirement?</p> <p>22 A. Yes, as a quality control.</p> <p>23 Q. So people do take concrete cubes --</p> <p>24 A. Yes.</p> <p>25 Q. -- from the actual concrete being used in</p>	<p>1 In this case, because of the honeycomb in the concrete,</p> <p>2 I think we cannot rely on the strength from the concrete</p> <p>3 cubes and say that this is the strength inside the</p> <p>4 concrete. If Leighton wants to demonstrate it is higher</p> <p>5 strength, there's one way they can do, to actually core</p> <p>6 concrete from the structure, enough core from the</p> <p>7 structure, and test it in the laboratory, to demonstrate</p> <p>8 that it is higher than grade 40. In that case, I can</p> <p>9 accept that. This is the difference between me and the</p> <p>10 other three experts. I think this is a very important</p> <p>11 point. You have to distinguish between concrete</p> <p>12 strength from concrete cube tests and actual concrete</p> <p>13 strength inside the structure. This is a very important</p> <p>14 point.</p> <p>15 Q. Dr Lau, all your points are no doubt very important</p> <p>16 points but let me just take up your points one by one.</p> <p>17 Insofar as the point that in a laboratory setting the</p> <p>18 concrete is taken and tested in the form of a cube, this</p> <p>19 is what is known as a shape factor and so in the design</p> <p>20 context it would have been taken care of by a factor of</p> <p>21 0.67; do you accept that?</p> <p>22 A. I think you are wrong as well here, because I'm involved</p> <p>23 in the preparation of the Concrete Code. This is to</p> <p>24 convert the concrete strength from the cube into the</p> <p>25 bending stress into the structure. That's nothing to do</p>

Page 5	Page 7
<p>1 with the shape, because they are test -- this concrete                  2 strength, crushing strength in the concrete cube, and we                  3 are trying to convert that into the bending stress into                  4 the structure. So that's why we multiply by 0.67,                  5 something like that. That's the idea in the Concrete                  6 Code; nothing to do with what you said.                  7 Q. But it reflects the fact that the strength of concrete                  8 as tested in a laboratory is necessarily higher than the                  9 strength of concrete as used on site, so this 0.67                  10 factor has already taken that into account; do you agree                  11 or not agree?                  12 A. This is not for that purpose. Not for that purpose.                  13 A different purpose. It doesn't -- it's not used that                  14 way. It's to convert the crushing strength in the cube                  15 to the bending strength in the structure. That's the                  16 purpose of that particular clause in the Concrete Code.                  17 So it's for different purposes.                  18 Q. And there is, on top of it, a 1.5 factor which is                  19 applied in the design context, to take into account,                  20 basically -- allow for a margin, so to speak?                  21 A. This is to be applied to the fcu, which is the grade 40                  22 concrete supplied by the supplier. This is to be                  23 applied to the --                  24 CHAIRMAN: Sorry, "fcu" stands for ...?                  25 A. "Fcu" is actually the concrete strength used in the</p>	<p>1 Q. Of course I don't do it my way.                  2 A. I know. I want to explain to you that it is important                  3 point because I think the other experts are trying to                  4 use the concrete cube strength as -- multiplied by all                  5 these factors and put it into the structure, which is                  6 wrong. This is a totally wrong idea. I want to make it                  7 clear in this particular Inquiry. This is not what we                  8 do in Hong Kong, not what we do. We never do it in                  9 Hong Kong anyway, never.                  10 Q. Can I move on to --                  11 CHAIRMAN: Sorry, can you help me -- how do you do it then?                  12 A. Well, the fcu actually is the concrete -- if we order                  13 grade 40 concrete from the supplier, they give you grade                  14 40, it is written in the document, "This is grade 40",                  15 but to prove it is grade 40, we do a lot of other tests.                  16 The tests are always cube tests. They always show that                  17 the strength done by the tests are higher than the                  18 grade 40 concrete, which is 40.                  19 Then, in my design, I use the grade 40 in my design.                  20 Only 40. I'm not using those cube strength tests from                  21 the supplier for my design. They were just data to                  22 support the guarantee from the supplier. So,                  23 actually --                  24 CHAIRMAN: That's what I've understood. Perhaps I might be                  25 disabused. I've understood that the cube tests confirm</p>
Page 6	Page 8
<p>1 design, and this fcu comes from the grade 40.                  2 For example, if the supplier says, "My concrete is                  3 grade 40", then fcu is 40. That's the meaning of that.                  4 CHAIRMAN: Thank you very much.                  5 I cut across you. So, "This is applied to the fcu,                  6 which is the grade 40 concrete supplied by the supplier.                  7 This is to be applied to ..."? Because I think,                  8 Mr Shieh -- sorry, perhaps you could repeat the question                  9 there that's at [draft] 5:25.                  10 MR SHIEH: Can I perhaps just put a numerical example. When                  11 designing to use concrete with a strength of, let's say,                  12 400 megapascals --                  13 A. Okay.                  14 Q. -- in fact the actual expected load is 400 multiplied by                  15 0.67 and then divided by 1.5?                  16 A. Now, the first one, the 0.67, is to convert the strength                  17 to bending stress, first of all. The 1.5 is to be                  18 applied to the grade 40 concrete. That's what we use in                  19 all our design. That particular fcu is not the concrete                  20 cube strength. The fcu is actually the grade 40                  21 strength which is guaranteed by the concrete supplier.                  22 This is the difference between you and I.                  23 Q. And it's a very important point?                  24 A. I tell you, nobody in Hong Kong do it your way. No                  25 structural engineer in Hong Kong do it your way.</p>	<p>1 the strength of the concrete, minimum strength of the                  2 concrete in the structure itself?                  3 A. Yes, for quality control.                  4 CHAIRMAN: For quality control purposes.                  5 A. Only. They are not for design. They are only for                  6 quality control. I think this is a very --                  7 CHAIRMAN: But how would they be used for design?                  8 A. In the design, it's entirely from -- now, let me put the                  9 procedure. If MTR want to use grade 40 for the design                  10 in the structure, you put down grade 40 in the design                  11 document. So, when the contractor come in, based on the                  12 design document, they order grade 40 concrete from the                  13 supplier. They give you grade 40 concrete. But                  14 of course, to prove it is grade 40, they have to do                  15 a lot of tests, and all these tests demonstrate that the                  16 concrete supplied to you are higher than grade 40 and                  17 they guarantee that the concrete supplied to you are                  18 actually better than grade 40, but they use grade 40 in                  19 your design.                  20 CHAIRMAN: Yes.                  21 A. You don't use something else.                  22 CHAIRMAN: No, no.                  23 A. That's the important point.                  24 On site, they also carry out a lot of other cube                  25 tests, as quality control, to ensure that the concrete</p>

Page 9	<p>1 you use are higher than grade 40.</p> <p>2 CHAIRMAN: Yes.</p> <p>3 A. You don't use those cube strength tests for your design.</p> <p>4 They are only used for quality control.</p> <p>5 CHAIRMAN: That's right. That's as I understood it,</p> <p>6 actually. I thought that if the design requires</p> <p>7 grade 40, you know that that's what the contractor says,</p> <p>8 the contractor is supplying the wet concrete, and then</p> <p>9 it goes in, but you want to make sure it is at least</p> <p>10 grade 40.</p> <p>11 A. Yes.</p> <p>12 CHAIRMAN: And so you have cube tests which will always come</p> <p>13 out higher because of the easier or the better</p> <p>14 circumstances in which it's made hard and cured,</p> <p>15 et cetera. But what it does do is it acts as a test to</p> <p>16 ensure a minimum strength for the actual concrete in the</p> <p>17 structure.</p> <p>18 A. Yes. You've got the point. This is the point I want to</p> <p>19 make. But the other experts said, because the cube</p> <p>20 strength test says it is 80 or 60 -- that's what Mr Nick</p> <p>21 Southward said -- we should use 60 or 80 in the design.</p> <p>22 To me, it is totally wrong. This is unacceptable to me.</p> <p>23 CHAIRMAN: All right.</p> <p>24 MR SHIEH: I don't think that's what they say, but anyway,</p> <p>25 we can read what they say.</p>	Page 11	<p>1 We should use only 40, rather than this 60 or 80</p> <p>2 multiplied by 0.67. This is a totally wrong concept.</p> <p>3 Q. In design, don't you actually use the bending moment?</p> <p>4 A. Yes.</p> <p>5 Q. Bending strength?</p> <p>6 A. Bending strength.</p> <p>7 Q. Don't you actually use the bending strength when you</p> <p>8 conduct your design?</p> <p>9 A. Yes.</p> <p>10 Q. Can I move to the topic of the trough walls and the</p> <p>11 yield line analysis.</p> <p>12 CHAIRMAN: Sorry, please forgive me. I'm just trying to</p> <p>13 wrap this around my head.</p> <p>14 The cubes are used to -- they are a way of testing</p> <p>15 the strength of the concrete actually in the structure</p> <p>16 that's been poured in; correct?</p> <p>17 A. Can you repeat your question, sir?</p> <p>18 CHAIRMAN: Sorry. These cube tests are a way of testing the</p> <p>19 strength of the concrete that's gone into the actual</p> <p>20 structure?</p> <p>21 A. It's a way of guaranteeing that the concrete inside the</p> <p>22 structure is up to certain strength.</p> <p>23 CHAIRMAN: Okay. So it's a way of ensuring a minimum grade</p> <p>24 or strength?</p> <p>25 A. Yes.</p>
Page 10	<p>1 CHAIRMAN: Okay.</p> <p>2 A. But I think this is a main point of difference between</p> <p>3 me and the other experts.</p> <p>4 CHAIRMAN: Okay. Thank you.</p> <p>5 MR SHIEH: Dr Lau, the transcripts speak for themselves and</p> <p>6 I don't believe that you are accurately understanding</p> <p>7 what the experts are saying, but we can agree to</p> <p>8 disagree.</p> <p>9 Can I now move on -- let me try to put it one more</p> <p>10 time. Concrete test results in a laboratory, it is</p> <p>11 accepted that they would be higher than the strength of</p> <p>12 the concrete actually used on site, but that factor is</p> <p>13 already taken into account by the conversion of 0.67 and</p> <p>14 1.5. Do you accept that?</p> <p>15 A. This is to convert the crushing strength of the concrete</p> <p>16 to bending strength in the design. This is the main</p> <p>17 purpose for this particular 0.67. We are not -- what</p> <p>18 Mr Southward is saying is that we use the cube strength</p> <p>19 test in the laboratory, multiplied by 0.67, and use it</p> <p>20 in the design or structural assessment. This is</p> <p>21 something which I totally disagree, absolutely disagree</p> <p>22 with him on this point. He's trying to say that we use</p> <p>23 0.67, multiply to the concrete cube test result, which</p> <p>24 is very high, 80 or 60, and put it into the structural</p> <p>25 assessment. This is totally wrong, unacceptable to me.</p>	Page 12	<p>1 CHAIRMAN: Okay. Now, to ensure a minimum grade or</p> <p>2 strength, you have to give the cubes a grade or</p> <p>3 a strength?</p> <p>4 A. The cube, the grade of the cube, are actually grade 40.</p> <p>5 Now --</p> <p>6 CHAIRMAN: What I'm saying is once you've cured it and dried</p> <p>7 it, it's going to have a particular strength?</p> <p>8 A. Yes.</p> <p>9 CHAIRMAN: Which is going to be higher than that in --</p> <p>10 A. The structure.</p> <p>11 CHAIRMAN: -- the structure. But you could argue that if</p> <p>12 it's not high enough or not higher enough, then the</p> <p>13 concrete in the structure is not up to standard. There</p> <p>14 has to be a comparison between the two.</p> <p>15 A. Yes, you are absolutely right, sir. This is the whole</p> <p>16 point. So the strength for the concrete cube has got to</p> <p>17 be higher than those you specify for the design.</p> <p>18 CHAIRMAN: Exactly, yes.</p> <p>19 A. That's the whole purpose for the concrete cube test, to</p> <p>20 make sure it is higher, not lower.</p> <p>21 CHAIRMAN: Yes.</p> <p>22 A. So it's always higher, that's why, because the supplier</p> <p>23 wants to make sure that it is higher.</p> <p>24 CHAIRMAN: But if mathematically it works out that it's</p> <p>25 a lot higher than, say, 40, is it not permissible then</p>

Page 13	<p>1 to say the cube tests show not only a basic strength of</p> <p>2 40 but actually show a strength of 50?</p> <p>3 A. This is what they are trying to argue, the other</p> <p>4 experts.</p> <p>5 CHAIRMAN: That's why I'm asking: is it not permissible to</p> <p>6 do it?</p> <p>7 A. It is not permissible. I'll tell you why. As I said</p> <p>8 previously, it depends on the workmanship. To prepare</p> <p>9 the concrete cube, you have one type of workmanship, one</p> <p>10 type of curing, but the concrete pour in the concrete,</p> <p>11 whether type of workmanship and the type of -- in the</p> <p>12 form of curing which is poorer than those done on the</p> <p>13 cubes. So we do not expect the strength in the</p> <p>14 concrete, in the structure, the same strength as those</p> <p>15 tests in the cubes.</p> <p>16 In this particular case, I think they have grade 40</p> <p>17 concrete, I have no doubt about that, but because of</p> <p>18 poor workmanship, we have to be very careful. Even if</p> <p>19 they try to put those concrete cube test results to put</p> <p>20 into the structure, you've got to be very careful. It</p> <p>21 depends on the workmanship.</p> <p>22 CHAIRMAN: I'm with you, yes.</p> <p>23 A. Because, I tell you, I think they have some point,</p> <p>24 because in their report they keep on saying forensic</p> <p>25 engineering, forensic investigation. In the forensic</p>	Page 15	<p>1 order concrete of a higher strength so that, upon</p> <p>2 conversion, according to the formula, it would be</p> <p>3 converted down to X; correct?</p> <p>4 A. (Nodded head).</p> <p>5 Q. Is that correct?</p> <p>6 A. Actually, if you order grade 40 concrete, they give you</p> <p>7 grade 40 concrete; yes? If you want to do what you</p> <p>8 want, you order grade 60 concrete, in that case, because</p> <p>9 it depends on what you order. You order grade 40</p> <p>10 concrete, they can only guarantee grade 40 concrete to</p> <p>11 you, with a lot of additional tests.</p> <p>12 Q. Dr Lau, if I order grade 40, in the lab, if I see grade</p> <p>13 40 -- you know, the grade 40 test being fulfilled,</p> <p>14 I will know that when used on site it is not going to be</p> <p>15 40; it would be less, yes? That's what you are saying?</p> <p>16 A. No, no, no. If you order grade 40, you understand that</p> <p>17 it will be at least grade 40, not lower, at least grade</p> <p>18 40.</p> <p>19 Q. No. I think you are confusing -- I don't know whether</p> <p>20 it's deliberate or not. Of course the grade is</p> <p>21 grade 40, but what you are saying is the strength</p> <p>22 demonstrated by the laboratory test, when used on -- the</p> <p>23 same concrete, when used on site, is going to be of</p> <p>24 a strength less than what is demonstrated by the lab</p> <p>25 test?</p>
Page 14	<p>1 investigation, trying to prove -- to find out what</p> <p>2 caused certain collapse, people do use this sort of</p> <p>3 analysis to work out what is the strength in the</p> <p>4 structure. You can do that if we have something like</p> <p>5 the collapse of a structure. But in our case, we are</p> <p>6 not doing that. We are trying to do rectification to</p> <p>7 the structure, to ensure that we have certain factor of</p> <p>8 safety for the rest of the design working life. So we</p> <p>9 are talking about two different aspects. They are</p> <p>10 talking about forensic engineering, forensic</p> <p>11 investigation. I'm talking about rectification for the</p> <p>12 structure to last for the intended design working life.</p> <p>13 So we are talking about two different concepts here.</p> <p>14 CHAIRMAN: Very good. Thank you for your help.</p> <p>15 MR SHIEH: Let me try one last time and then I'll move on.</p> <p>16 The 0.67 and divided by 1.5 conversion formula is to</p> <p>17 convert, as you say, the supplier's grade strength for</p> <p>18 the concrete into what you call the bending strength,</p> <p>19 which would be the strength that the concrete would</p> <p>20 actually have on site; correct?</p> <p>21 A. Yes.</p> <p>22 Q. So, when I design something and I say to myself, "I want</p> <p>23 to achieve this particular bending strength for the</p> <p>24 concrete on site" -- let's call it X -- I don't actually</p> <p>25 order concrete of strength X because I need to actually</p>	Page 16	<p>1 A. Can you repeat your question again?</p> <p>2 Q. Let's say the test results in the laboratory show that</p> <p>3 it is of a certain strength -- let's say 400 --</p> <p>4 A. This is not what we do. Sorry. I think you totally</p> <p>5 misunderstand the whole concept.</p> <p>6 Q. That's why I'm not an engineer. Educate me, please.</p> <p>7 A. You order grade 40; right?</p> <p>8 Q. Yes.</p> <p>9 A. You do the concrete cube test to make sure that it is at</p> <p>10 least grade 40. It's got to be higher. But in your</p> <p>11 design --</p> <p>12 Q. Sorry, what do you mean by "it's got to be higher"?</p> <p>13 Higher than what?</p> <p>14 A. If you order grade 40 concrete, you do the concrete cube</p> <p>15 test, it can be 50, 60, 70 -- it can be anything above</p> <p>16 grade 40, always. Always. But when you do the design,</p> <p>17 you still use grade 40. You don't use the cube test</p> <p>18 result in your design. Otherwise, it will be very</p> <p>19 confusing, because --</p> <p>20 CHAIRMAN: I see that point. You are saying that these</p> <p>21 tests --</p> <p>22 A. Very confusing.</p> <p>23 CHAIRMAN: -- are purely and simply there to confirm minimum</p> <p>24 grade of 40, and the tests will always come out higher</p> <p>25 and that's why you apply these mathematical formula to</p>

Page 17	Page 19
<p>1 them, to bring them down to a level where they equate to</p> <p>2 what's actually in the structure, but you don't do --</p> <p>3 those tests are required for nothing more than</p> <p>4 confirming minimum grade strength in the structure?</p> <p>5 A. Something like that. Basically, what we want to do</p> <p>6 is -- if you order grade 40 concrete, the supplier</p> <p>7 guarantees it is grade 40 concrete, you use grade 40</p> <p>8 concrete in your design and that's it. You don't use</p> <p>9 the cube test result which is much higher and use it in</p> <p>10 your design, which will be very confusing because in</p> <p>11 that case, in Hong Kong, all structures will have</p> <p>12 different strength, depending on the cube test result.</p> <p>13 This will be very, very confusing for everybody.</p> <p>14 There's no -- well, this is what I mean.</p> <p>15 CHAIRMAN: All right. I may be way off the point here, then</p> <p>16 we'll finish it, but let's say you've got a problem.</p> <p>17 The grade 40 concrete comes in. It's tested at a figure</p> <p>18 much higher than 40 in the laboratory; okay?</p> <p>19 Then you have a problem as to strengths later and</p> <p>20 you revisit. Is it not permissible then to say the cube</p> <p>21 tests, when revisited, showed strengths of such a high</p> <p>22 level in comparison to what's actually in the concrete</p> <p>23 structure that it shows that what's in the concrete</p> <p>24 structure wasn't just grade 40 but was higher and</p> <p>25 therefore had excess capacity by way of strength or</p>	<p>1 the strength, rather than using the concrete cube test</p> <p>2 results, because they are not relevant. They are only</p> <p>3 relevant as far as the material is concerned. They are</p> <p>4 not relevant as far as the workmanship in curing is</p> <p>5 concerned.</p> <p>6 Do you take my point?</p> <p>7 CHAIRMAN: I do. Thank you very much.</p> <p>8 A. I hope I can explain it to you, because this is a big --</p> <p>9 CHAIRMAN: No. I understand it. Thank you very much.</p> <p>10 A. There's a big difference between me and the other</p> <p>11 experts on this very point.</p> <p>12 MR SHIEH: Can I take up Mr Chairman's question. Let's say</p> <p>13 when you design, you say to yourself, "I want to use</p> <p>14 grade 40, I order grade 40."</p> <p>15 A. Yes.</p> <p>16 Q. And by supplying me with grade 40, the supplier</p> <p>17 guarantees that it would be at least -- the cube results</p> <p>18 would be at least 40; yes?</p> <p>19 A. Yes.</p> <p>20 Q. At least 40. You say, in reality, it may be higher when</p> <p>21 tested, but at least 40. So let's say I, the</p> <p>22 contractor, upon seeing the concrete delivery, take</p> <p>23 a cube for testing. It is just 40; it would pass,</p> <p>24 correct?</p> <p>25 A. Yes.</p>
Page 18	Page 20
<p>1 resilience?</p> <p>2 A. What you said is normally done on a collapsed structure,</p> <p>3 for example.</p> <p>4 CHAIRMAN: Okay.</p> <p>5 A. Take two examples. If there's a building that</p> <p>6 collapsed, say for example, you want to find out what</p> <p>7 happened, what caused the collapse. Then what you said</p> <p>8 can be useful because we want to find out what caused</p> <p>9 the collapse and we do a lot of investigation, coring of</p> <p>10 the building, to find out the what they call</p> <p>11 characteristic strength of the concrete and do it in the</p> <p>12 back analysis, to see what happened.</p> <p>13 But in our case, we are not doing that. In our</p> <p>14 case, we are checking the design for the rest of the</p> <p>15 design working life of the building. If the designer</p> <p>16 asks for grade 40 concrete, we should check the</p> <p>17 structure based on grade 40 concrete, rather than based</p> <p>18 on all the concrete cube tests, right, from the cube</p> <p>19 test.</p> <p>20 This is not what we do for a normal design of</p> <p>21 a building. But when they are doing the forensic</p> <p>22 investigation, I can understand why they want to do it</p> <p>23 that way. They want to find out exactly what is the</p> <p>24 strength in the structure. In that case, you still have</p> <p>25 to core the concrete, to core the structure, to find out</p>	<p>1 Q. Because I have designed my structure to be constructed</p> <p>2 by using grade 40 concrete, and it is grade 40 so it</p> <p>3 passed, I would happily build it and it would fulfil the</p> <p>4 strength requirement that I have; yes?</p> <p>5 A. Okay.</p> <p>6 Q. If that is the case, then if the cube test result is</p> <p>7 actually higher than 40, let's say 60 or 80, it must</p> <p>8 follow, must it not, that it is of a strength higher</p> <p>9 than what I actually want. Do you accept that? If</p> <p>10 I want a certain strength and I say to myself, "40 is</p> <p>11 good enough for me", if the result turns out to be 80,</p> <p>12 for example, it must be far, far in excess of what</p> <p>13 I actually need to sustain the structure; is that</p> <p>14 correct?</p> <p>15 A. But the supplier -- if you go to talk to the supplier,</p> <p>16 "Can I use it for grade 60?", they will say, "No, you</p> <p>17 use it for grade 40. This is what I guarantee you, that</p> <p>18 it's a grade 40", because --</p> <p>19 CHAIRMAN: I appreciate that.</p> <p>20 A. Because I think counsel has the wrong concept. They</p> <p>21 give you a higher strength doesn't mean that you can use</p> <p>22 it in your design, because in Hong Kong, the most</p> <p>23 important thing is you buy grade 40 concrete, they</p> <p>24 supply you with grade 40 concrete, you use grade 40</p> <p>25 concrete in your design. It doesn't matter what sort of</p>

Page 21	Page 23
<p>1 test you do.</p> <p>2 CHAIRMAN: Yes. The way I've understood it is this, that</p> <p>3 you want grade 40, the contractor agrees to supply</p> <p>4 grade 40, he supplies the concrete, as far as he's</p> <p>5 concerned it's grade 40, but it needs to be tested; is</p> <p>6 it grade 40 or not?</p> <p>7 A. Yes.</p> <p>8 CHAIRMAN: And the way in which you test it is by these cube</p> <p>9 tests; okay?</p> <p>10 A. Yes.</p> <p>11 CHAIRMAN: Now, because of the rarefied circumstances in</p> <p>12 which the cube tests are conducted and the more</p> <p>13 bash-about circumstances in which the actual concrete is</p> <p>14 settling in the structure, you need to equal them out,</p> <p>15 and you do that with these mathematical equations or</p> <p>16 statements; okay?</p> <p>17 If, later on, you come back and you want to try and</p> <p>18 get an idea of whether the grade 40 which you ordered</p> <p>19 was grade 40 or was of some different dimension, you go</p> <p>20 back six months later and you check everything and you</p> <p>21 see that all the tests on the cubes show that in fact</p> <p>22 the grade 40 was coming out at a consistent grade 60.</p> <p>23 Are you not then entitled to say, "I ordered grade 40,</p> <p>24 grade 40 was in the design, but when I tested it all and</p> <p>25 I averaged it all out, what in fact I had for this</p>	<p>1 conducted, the test -- how should I put it? -- the test</p> <p>2 is blind as to whether you are testing that sample for</p> <p>3 the purpose of initially passing it, for the purpose of</p> <p>4 using it on site, or whether you are testing the sample,</p> <p>5 let's say, during construction; do you see what I mean?</p> <p>6 A. Okay.</p> <p>7 Q. The test is blind as to whether you are testing a sample</p> <p>8 for the sake of design, for the sake of accepting</p> <p>9 a sample to be used on site, or whether you are testing</p> <p>10 it for the purpose of, let's say, doing a random check</p> <p>11 during construction. The test is blind as to your</p> <p>12 purpose. The test only knows you are testing a concrete</p> <p>13 cube.</p> <p>14 A. Yes.</p> <p>15 Q. Trough wall, yield line analysis.</p> <p>16 A. Okay.</p> <p>17 Q. You mentioned yesterday that there had been no checking</p> <p>18 as to shear strength in the trough wall.</p> <p>19 A. No check, no.</p> <p>20 Q. Can I show you bundle DD18, page 18512. This is from</p> <p>21 the AECOM calculations.</p> <p>22 A. Yes.</p> <p>23 Q. "Trough wall design":</p> <p>24 "400 kilonewton collision load is spread over</p> <p>25 2.2 metres."</p>
Page 22	Page 24
<p>1 grade 40 requirement was a grade 60"? In other words,</p> <p>2 this concrete had more oomph per square centimetre than</p> <p>3 I ordered.</p> <p>4 A. This is what they argue.</p> <p>5 CHAIRMAN: I know. That's why I'm putting it in a question.</p> <p>6 A. My argument is this. In order to do that, the only way</p> <p>7 that you can do that is to actually core into the</p> <p>8 structure, get the result, and then test those cores in</p> <p>9 the laboratory. If they show consistently that it is</p> <p>10 60, then maybe you can do it this way. But at the</p> <p>11 moment this was not done. They only rely on the</p> <p>12 concrete cube test to tell me. This has no relationship</p> <p>13 with the workmanship and the curing condition in the</p> <p>14 structure.</p> <p>15 If they are able to do something like what I said,</p> <p>16 they carry out a lot of coring into the structure, get</p> <p>17 the sample out and test it in the laboratory and do all</p> <p>18 this mathematics to show it to me that it is grade 60,</p> <p>19 then maybe I can accept that, maybe, only maybe.</p> <p>20 CHAIRMAN: All right. I appreciate that. You have</p> <p>21 a fundamental difference of approach here.</p> <p>22 A. Yes.</p> <p>23 CHAIRMAN: Thank you very much.</p> <p>24 MR SHIEH: Just one last question -- I keep saying, famous</p> <p>25 last words, "last question" -- when a laboratory test is</p>	<p>1 A. I've seen this, yes.</p> <p>2 Q. If you move down to the bottom of the page, you can see,</p> <p>3 "No links required".</p> <p>4 A. Yes.</p> <p>5 Q. So does it not show that AECOM has conducted the</p> <p>6 relevant calculations for the trough wall and concluded</p> <p>7 that no shear links are required? Does that not count</p> <p>8 as the requisite shear calculation?</p> <p>9 A. I'm talking about Mr Southward's analysis. He only</p> <p>10 carried out yield line analysis, he did not carry out</p> <p>11 any shear check. I'm not saying he did not carry out</p> <p>12 any shear check based on his own analysis. That's all.</p> <p>13 He's now relying on someone else's elastic analysis.</p> <p>14 Q. But if it actually has been done, is Mr Southward not</p> <p>15 entitled to rely on it?</p> <p>16 A. Well, it's only one comment, but anyway I think the more</p> <p>17 important point is -- what I said in my report is that</p> <p>18 according to the American Code he used, they said</p> <p>19 there's a requirement that you should check the shear</p> <p>20 when you use the yield line method. That's what I mean.</p> <p>21 As far as I'm concerned, if he checks it, I think he can</p> <p>22 pass it as well. I'm not saying that he will fail in</p> <p>23 shear. What I'm saying is he did not check it. That's</p> <p>24 all. That's what I said. In fact even yesterday I said</p> <p>25 the same thing.</p>

Page 25	<p>1 But the most important point is not the shear. In</p> <p>2 the American Code, there's no column behind the trough</p> <p>3 wall; right? It's just a wall. But in our case, we</p> <p>4 have a column only 60 millimetres behind the trough</p> <p>5 wall. So actually the deformation of the trough wall</p> <p>6 under the impact of the derailed train is even more</p> <p>7 important. He did not check it, but I checked it for</p> <p>8 him. I think it doesn't work.</p> <p>9 I can demonstrate it on this paper. I did a very</p> <p>10 simple calculation, just a very simple calculation, and</p> <p>11 you can demonstrate that his method doesn't work. If</p> <p>12 you don't mind, I can do it for you.</p> <p>13 CHAIRMAN: That's okay at the moment. We have your clear</p> <p>14 statement of that and then if anybody else wishes to ask</p> <p>15 you to demonstrate then, Doctor, thank you very much.</p> <p>16 A. It's just a very simple calculation, it takes about two</p> <p>17 minutes, and then you can demonstrate that it failed.</p> <p>18 That's all.</p> <p>19 MR SHIEH: Can I just get it clear once and for all, because</p> <p>20 in your report you referred to and relied on the</p> <p>21 American Code concerning the utility of yield line</p> <p>22 analysis which contains the relevance to having to do</p> <p>23 strut-and-tie; do you remember that?</p> <p>24 A. Yes.</p> <p>25 Q. Following on from that, you criticised Mr Southward for</p>	Page 27	<p>1 be any accident in the long life of the trough wall, but</p> <p>2 there may be one, so we need to be very careful about</p> <p>3 this suitable measure. We need to do something about</p> <p>4 that.</p> <p>5 MR SHIEH: Dr Lau, can I refer you to your report, your</p> <p>6 COI 2 report, at page 11.</p> <p>7 CHAIRMAN: Sorry, can I just ask here -- Mr Southward has</p> <p>8 done a report, but he wasn't involved in the design.</p> <p>9 He's come in as an expert to look at the design. Was</p> <p>10 there any discussion/concern/documentation about the</p> <p>11 nearness of the column to the trough wall?</p> <p>12 A. You mean the documentation?</p> <p>13 CHAIRMAN: I'm just wondering. You said it's really</p> <p>14 important, and what comes across to me is that if</p> <p>15 a train came and crashed into or fell against the trough</p> <p>16 wall, then the force of that could cause damage to the</p> <p>17 column, and the column collapsing could cause damage of</p> <p>18 far greater extent than would otherwise be the case.</p> <p>19 So my question is simply: is this something that was</p> <p>20 raised at any stage, to your knowledge, during the</p> <p>21 actual designing of the structure, before anybody came</p> <p>22 in their Wellington boots and started building it?</p> <p>23 A. I don't know, but actually, during the site visit, joint</p> <p>24 site visit among all the experts, we saw the columns.</p> <p>25 CHAIRMAN: Okay.</p>
Page 26	<p>1 not having done a checking of shear forces.</p> <p>2 As I now understand, you are not suggesting that</p> <p>3 Mr Southward must personally have conducted the</p> <p>4 checking, are you? You are not saying that he must</p> <p>5 personally have done the checking?</p> <p>6 A. Actually, I don't really want to criticise Mr Southward,</p> <p>7 because different engineers have different methods of</p> <p>8 doing things. I just mentioned that if he wants to use</p> <p>9 yield line analysis, which is allowed in the Hong Kong</p> <p>10 Code, allowed, he should do a comprehensive check.</p> <p>11 That's all. That's all that I want to say.</p> <p>12 I think a very important point to note is that I'm</p> <p>13 very concerned about the stability of the column, just</p> <p>14 behind the trough wall, and I measure it on the plan:</p> <p>15 it's only 60 millimetres away from the trough wall, and</p> <p>16 the trough wall has to be recessed to accommodate the</p> <p>17 column.</p> <p>18 CHAIRMAN: Is remedial work being done in that regard?</p> <p>19 A. Yes. What the work done is to have two struts, to</p> <p>20 connect the two trough walls, to show that any impact</p> <p>21 from the train will be transferred, away from the column</p> <p>22 to somewhere else. This is a very important remedial</p> <p>23 measure. I think it's got to be done. Otherwise, there</p> <p>24 will be trouble.</p> <p>25 Now, there may not be any collision, there may not</p>	Page 28	<p>1 A. We saw the columns.</p> <p>2 CHAIRMAN: But you don't know if it was ever a debated issue</p> <p>3 in the designing stage of the work?</p> <p>4 A. I don't know. I'm not aware of that, no. Sorry. But</p> <p>5 the columns, we all saw the columns during the site</p> <p>6 visit.</p> <p>7 CHAIRMAN: Yes, of course.</p> <p>8 MR SHIEH: On reflection, I don't think I need to take the</p> <p>9 point any further. I think I've got what I want.</p> <p>10 Mr Chairman and Mr Commissioner, I have no further</p> <p>11 questions.</p> <p>12 It's probably surplus for me to say this but</p> <p>13 obviously, this being a Commission of Inquiry and the</p> <p>14 experts having written expert reports, the fact that</p> <p>15 I haven't actually put each and every point of</p> <p>16 disagreement doesn't mean we are accepting what</p> <p>17 Dr Lau --</p> <p>18 CHAIRMAN: This is not litigation of the classic kind, it's</p> <p>19 an Inquiry, and we are obviously not requiring you to</p> <p>20 follow arid formula. Thank you.</p> <p>21 Cross-examination by MR BOULDING</p> <p>22 MR BOULDING: Good morning, Dr Lau. I act on behalf of MTR.</p> <p>23 My learned friends Mr Pennicott and Mr Shieh have</p> <p>24 already raised many of the matters I intended to raise</p> <p>25 with you, but I nevertheless have a few questions about</p>

Page 29	<p>1 the approach in assessing safety factors.</p> <p>2 A. Okay.</p> <p>3 Q. So I wonder if you can help me.</p> <p>4 You deal in your report -- that's ER2 at tab 17.1,</p> <p>5 page 11 -- COI 1; yes, that's the one -- and here we</p> <p>6 are, are we not, in the section of your report where you</p> <p>7 deal with safety?</p> <p>8 A. Yes.</p> <p>9 Q. We can see that in paragraph 32 you give opinions as to</p> <p>10 the determination of the applicable minimum safety</p> <p>11 factor; correct?</p> <p>12 A. Yes.</p> <p>13 Q. You tell us, do you not, that this varies from one place</p> <p>14 to another?</p> <p>15 A. Yes.</p> <p>16 Q. And you say it will be difficult to rely on one expert's</p> <p>17 opinion to set out the relevant standards; correct?</p> <p>18 A. Yes.</p> <p>19 Q. You also go on to say:</p> <p>20 "It should represent society's general expectation</p> <p>21 of how 'safe' structures erected in that place should</p> <p>22 be."</p> <p>23 That's correct?</p> <p>24 A. Yes.</p> <p>25 Q. Then paragraph 33, going on, you say:</p>	Page 31	<p>1 Q. I'm putting it to you. Are you agreeing, disagreeing,</p> <p>2 or you don't know?</p> <p>3 A. I disagree, because you specify what material you use,</p> <p>4 so you must know what is the strength of the material.</p> <p>5 So I don't understand your question.</p> <p>6 Q. Well, I think the question is fairly clear. You seem to</p> <p>7 be disagreeing with the proposition that Dr Glover is</p> <p>8 going to come and support in about half an hour.</p> <p>9 A. Actually, I disagree with him on this point, yes.</p> <p>10 Q. Okay. I also suggest that at the inception and design</p> <p>11 stages of a project, much is also unknown as to, say,</p> <p>12 the geometric accuracy of the structure?</p> <p>13 A. Well, anyway -- actually, I disagree with him on all</p> <p>14 these points. Actually, you can carry on. I can</p> <p>15 explain why later on.</p> <p>16 Q. Well, you agree with me on the first one, I think, but</p> <p>17 there's disagreement, as I understand --</p> <p>18 A. No, I --</p> <p>19 Q. -- between material strength and geometric accuracy.</p> <p>20 A. (Overspeaking).</p> <p>21 Q. Can I go on to say that for these reasons, international</p> <p>22 codes and standards contain, do they not, what are</p> <p>23 referred to as partial safety factors?</p> <p>24 A. Yes, we have --</p> <p>25 Q. That's correct, isn't it?</p>
Page 30	<p>1 "... it is only appropriate to adopt the minimum</p> <p>2 factor of safety prescribed in the relevant building</p> <p>3 design codes in Hong Kong."</p> <p>4 A. Yes.</p> <p>5 Q. I understand that to still be your position?</p> <p>6 A. Yes.</p> <p>7 Q. Now, Dr Glover is coming to give evidence -- fairly</p> <p>8 shortly, I suspect -- and he deals with safety in his</p> <p>9 report, and presumably you would agree with him, would</p> <p>10 you not, that in the inception and design stages of</p> <p>11 a project, the inception and design stages of a project,</p> <p>12 much is still unknown as to matters such as, firstly,</p> <p>13 the actual future construction loadings and sequence?</p> <p>14 Much is still unknown about that, isn't it?</p> <p>15 If you agree with me --</p> <p>16 A. Okay, yes.</p> <p>17 Q. Thank you.</p> <p>18 A. Let me agree with you at the moment, yes.</p> <p>19 Q. Fine. That will do.</p> <p>20 Similarly, to have another example, much is unknown,</p> <p>21 is it not, as to, say, material strengths -- at the</p> <p>22 design and inception stage, much is still unknown as to</p> <p>23 material strengths?</p> <p>24 A. I'm not so sure about that. Anyway, you can carry on.</p> <p>25 I'm not so sure about this point.</p>	Page 32	<p>1 A. Well, the partial safety factor is intended not for the</p> <p>2 construction stage. It's intended for the long design</p> <p>3 life of the building. This is the reason why I disagree</p> <p>4 with him.</p> <p>5 Q. Well, let's see what we can agree. We are in agreement,</p> <p>6 are we not, that international codes and standards</p> <p>7 contain partial safety factors? Do they or don't they?</p> <p>8 A. Hong Kong also has partial safety factors, but the</p> <p>9 partial safety factors is not intended for the</p> <p>10 construction stage. They were intended for the intended</p> <p>11 working life of the building, for the uncertainties</p> <p>12 during the long life of the building. It's not meant</p> <p>13 for the construction stage. This is what I disagree</p> <p>14 with Dr Glover.</p> <p>15 Q. So you accept that the international codes and</p> <p>16 standards, as well as, you would say, the Hong Kong</p> <p>17 codes, contain partial safety factors, but as</p> <p>18 I understand it there's a dispute between you and</p> <p>19 Dr Glover as to what matters they are intended to cover?</p> <p>20 Is that where we've got to?</p> <p>21 A. The partial safety factors are intended for the design</p> <p>22 life of the building, not for the construction stage of</p> <p>23 the building.</p> <p>24 Q. Well, I've got to disagree with you there, but there's</p> <p>25 an issue between us there, Dr Lau.</p>



Page 33	Page 35
<p>1 A. Yes.</p> <p>2 Q. And these partial safety factors, they would include,</p> <p>3 would they not, for extremes of the variations in the</p> <p>4 applied loads?</p> <p>5 A. During the design life of the building, yes.</p> <p>6 Q. And they would also include for what I am told are</p> <p>7 referred to as ignorance factors; correct?</p> <p>8 A. Ignorance factors during the design life of the</p> <p>9 building. I have to maintain this point. They were for</p> <p>10 the design life of the building which is 120 years, not</p> <p>11 two or three years during the construction stage.</p> <p>12 Q. I've got to take issue with you there, because what</p> <p>13 I suggest to you is that these ignorance factors are to</p> <p>14 reflect the level of uncertainties in the assumptions</p> <p>15 made in the design; that's correct, isn't it?</p> <p>16 A. No, no, no.</p> <p>17 Q. They are also there to reflect the sophistication of the</p> <p>18 analysis methods to be adopted to mitigate these</p> <p>19 unknowns; that's correct, isn't it?</p> <p>20 A. The so-called factor of safety covers everything, right</p> <p>21 from the construction stage up to the end of the design</p> <p>22 life of the building. This is what I want to maintain.</p> <p>23 Not just for the first few years, during the</p> <p>24 construction. It's intended for the whole length of the</p> <p>25 design life of the building, which contains a lot of</p>	<p>1 taken into account the local conditions, work practice</p> <p>2 and development of new technologies in analysis, design</p> <p>3 and strength of materials."</p> <p>4 So we can see, can we not, that the Code of Practice</p> <p>5 itself is referring, is it not, to various</p> <p>6 uncertainties; do you see that?</p> <p>7 A. Yes.</p> <p>8 Q. And they are not exhaustive, are they? We can see that</p> <p>9 by the use of the word or the abbreviation "et cetera"?</p> <p>10 A. Yes.</p> <p>11 Q. What I suggest to you is that these safety factors have</p> <p>12 been derived to consider, amongst other things, the</p> <p>13 risks that need to be considered at the design stage?</p> <p>14 That's correct, isn't it?</p> <p>15 A. And the design life stage as well, not just for the</p> <p>16 design stage.</p> <p>17 Q. So you are agreeing with me but adding something, and</p> <p>18 one of the reasons they have to be considered at the</p> <p>19 design stage, I suggest, is because the scale of those</p> <p>20 risks at the design stage is at its greatest; that's</p> <p>21 correct, isn't it, because of --</p> <p>22 A. I do not agree with you, because you do not know what</p> <p>23 will happen to the structure during the long life of the</p> <p>24 building, so this positivity factor has to cater for all</p> <p>25 sorts of conditions, including the design stage, the</p>
Page 34	Page 36
<p>1 uncertainties. That's what it is intended for.</p> <p>2 You are trying to tell me that after the initial</p> <p>3 construction stage we can reduce the positivity factor,</p> <p>4 which I totally disagree. I totally disagree with you</p> <p>5 on this point.</p> <p>6 Q. Okay. Well, there we are.</p> <p>7 Presumably, you would agree this, would you not,</p> <p>8 that Dr Glover says that insofar as structural safety is</p> <p>9 concerned, there are indeed safety factors contained in</p> <p>10 the Hong Kong Code of Practice 2004?</p> <p>11 A. Yes.</p> <p>12 Q. If we were to look at the Hong Kong Code of Practice --</p> <p>13 I think we can pick that up at H8/2818, that's the first</p> <p>14 page -- but for present purposes if I could go to</p> <p>15 page 21. H2821. Splendid.</p> <p>16 Here we see, do we not, the foreword; correct?</p> <p>17 A. Yes.</p> <p>18 Q. We can see that it provides guidelines, can we not?</p> <p>19 A. Yes.</p> <p>20 Q. Then if we look at the third paragraph:</p> <p>21 "[The] Code of Practice is based on the limit state</p> <p>22 design philosophy, which provides a more realistic</p> <p>23 assessment on uncertainties associated with different</p> <p>24 loading conditions, material properties, workmanship</p> <p>25 et cetera. The drafting of this Code of Practice has</p>	<p>1 construction stage, and the long life of the building</p> <p>2 too. This is what it intends to.</p> <p>3 Q. Okay. I see your answer there. We've got that. Thank</p> <p>4 you.</p> <p>5 A. Because if you look at this particular Code of Practice,</p> <p>6 it keeps on talking about the design working life, all</p> <p>7 the time, everywhere. You look at this -- you go to</p> <p>8 other pages, they keep on talking about intended design</p> <p>9 working life, which is 50 years only. This code is only</p> <p>10 for 50 years. When BD checked the structure, they only</p> <p>11 checked it based on 50 years' design life. But this</p> <p>12 particular building, the fit for purpose is 120 years,</p> <p>13 which is much longer than 50 years.</p> <p>14 Q. Well, we've got your answer and you have kindly agreed</p> <p>15 with me that it includes for the design stage and the</p> <p>16 construction stage, and I think that will do for my</p> <p>17 purposes.</p> <p>18 A. Okay.</p> <p>19 Q. Can I also suggest that the partial load factors which</p> <p>20 are applied at the design stage reflect also the risks</p> <p>21 to be encountered during the life of the structure --</p> <p>22 I think that's something you would agree with?</p> <p>23 A. Yes.</p> <p>24 Q. -- but these risks are greatest at the inception design</p> <p>25 stage because of what Dr Glover refers to as the</p>

Page 37	Page 39
<p>1 unknowns?</p> <p>2 A. I disagree with you here. I disagree, because I tell</p> <p>3 you, if a designer has uncertainties about -- at the</p> <p>4 design stage, uncertainty about something, he puts in</p> <p>5 additional so-called construction load in the design;</p> <p>6 right? In this document, I checked it, there was no</p> <p>7 such thing as construction load.</p> <p>8 Now, if he is uncertain, he puts in the construction</p> <p>9 load. After that, he can remove it for the permanent</p> <p>10 design. But in this case, I have not seen one single</p> <p>11 mention about construction load, no such thing at all.</p> <p>12 The structure was designed for dead load, live load,</p> <p>13 soil load and also water load. That's all. I haven't</p> <p>14 seen one single word mentioning construction load here.</p> <p>15 So I have to disagree.</p> <p>16 Q. Well, can I suggest that the safety factors contained in</p> <p>17 the HKCoP are conservative, to cater for the unknowns</p> <p>18 and uncertainties that may arise during the construction</p> <p>19 stage?</p> <p>20 A. I disagree that it is conservative. I disagree with you</p> <p>21 about being conservative. The code is written to cater</p> <p>22 for uncertainties, no doubt about that, but whether it</p> <p>23 is conservative or not, I disagree with you. I don't</p> <p>24 think it is conservative.</p> <p>25 Q. Okay.</p>	<p>1 to -- twice, actually, in your evidence, you referred to</p> <p>2 the locking effect.</p> <p>3 A. Yes.</p> <p>4 COMMISSIONER HANSFORD: What did you mean by the locking</p> <p>5 effect?</p> <p>6 A. If I can write on this board --</p> <p>7 COMMISSIONER HANSFORD: You can.</p> <p>8 A. -- it would help everybody.</p> <p>9 CHAIRMAN: You can.</p> <p>10 A. Okay.</p> <p>11 (Drawing on the whiteboard) Can you see?</p> <p>12 CHAIRMAN: Yes, no problem.</p> <p>13 A. We have this diaphragm wall constructed, this is</p> <p>14 supposed to be what we call a top-down construction;</p> <p>15 right?</p> <p>16 COMMISSIONER HANSFORD: Yes.</p> <p>17 A. So they excavate down to here. They construct the slab.</p> <p>18 So, when it is constructed, the dead load of this slab,</p> <p>19 which is very heavy, as Prof McQuillan said, 90 per cent</p> <p>20 of the load comes from the dead load, 90 per cent;</p> <p>21 right? So there's a lot of fixed-end moment built into</p> <p>22 these two joints.</p> <p>23 Then they excavate downwards until they meet the --</p> <p>24 this is EWL, this is NSL -- and then they cast the</p> <p>25 concrete slabs. Then they come in, to put in all the</p>
Page 38	Page 40
<p>1 A. I think all these things are there to protect the public</p> <p>2 against failure, so we require them to be there.</p> <p>3 Q. Okay. I hear what you say.</p> <p>4 Let me try this one on you. Once the construction</p> <p>5 phase is over and the structure is up, presumably you</p> <p>6 would accept that the nature and extent of any unknowns</p> <p>7 and uncertainties that existed at the design stage are</p> <p>8 reduced?</p> <p>9 A. No.</p> <p>10 Q. Really?</p> <p>11 A. Definitely no. This is a new concept to me, honestly.</p> <p>12 Q. So you've built the structure, it's up and running, and</p> <p>13 you are not prepared to accept from me the proposition</p> <p>14 which Dr Glover will explain in due course that at that</p> <p>15 stage the extent of any unknowns and uncertainties that</p> <p>16 existed at the design stage are reduced? You are not</p> <p>17 prepared to accept that proposition?</p> <p>18 A. I'm not prepared to accept that, because there would be</p> <p>19 more uncertainties during the long life of the building.</p> <p>20 I don't agree with you at all.</p> <p>21 Q. Very well. Thank you, Dr Lau.</p> <p>22 Questioning by THE COMMISSIONERS</p> <p>23 COMMISSIONER HANSFORD: I have a couple of questions for</p> <p>24 Dr Lau.</p> <p>25 The first question. Yesterday, Dr Lau, you referred</p>	<p>1 columns.</p> <p>2 This particular structure, all the bending moment is</p> <p>3 there already; right? They take up all the bending</p> <p>4 moment. So the structure deflects slightly. Then they</p> <p>5 come in to put in, after this is constructed, to put in</p> <p>6 the columns and walls. Now, these column and walls will</p> <p>7 be relied on for the permanent stage. But the point is</p> <p>8 there is already bending moment locked in in the</p> <p>9 structure, based on the factor of safety of 1.4, the</p> <p>10 dead load. This is according to the Hong Kong Code.</p> <p>11 Now, the point is, if we keep on using 1.4 for all</p> <p>12 this locking effect, it is very expensive. Very</p> <p>13 expensive. So, in the updated design by Atkins, it is</p> <p>14 considered that it may be easier, when they check it,</p> <p>15 they assume it is only 1.26, 1.26 rather than 1.4. So</p> <p>16 in that case, the moment here (indicating) will be less.</p> <p>17 Then they check 1.4 later on with the column -- with all</p> <p>18 the columns and wall put in, and they already built in</p> <p>19 moment there (indicating). It's what we call the</p> <p>20 locking stress, based on 1.26.</p> <p>21 So this is what we call -- and also, don't forget</p> <p>22 that a lot of stress in the completed structure is based</p> <p>23 on the water and soil pressure acting on this</p> <p>24 (indicating). Now, when they analyse this structure, we</p> <p>25 need to know what we call the stiffness of the soil.</p>

Page 41	Page 43
<p>1 Now, this point is -- because if the structure is there,                  2 all the consultants, OAP or Atkins or some other                  3 consultants, when they do the stage 3 assessment, we                  4 have to assume certain critical load conditions on this                  5 structure. The critical load conditions, according to                  6 GEO, you need to have a 5 metre difference in water                  7 pressure. Now, if you use -- so all the forces in the                  8 structure depends on the stiffness.                  9 Now, Atkins assume the stiffness is E equal to 1                  10 times N. N is the value from the static penetration                  11 test during one investigation stage. Then when OAP                  12 analyse it based on 1 times N, we have more or less the                  13 same stresses in the whole structure, and then OAP, in                  14 order to make it more aggressive, they changed it again                  15 using E equal to 1.5 N. As soon as you use 1.5 N all                  16 the stresses inside the structure will be lower. Then                  17 OAP try to keep -- and OAP, Dr Glover, criticised Atkins                  18 by being too conservative, because they use a different                  19 parameter in the computer model, and this equal to                  20 1 times N is required by government. This is required                  21 by Hong Kong government. You have the design based on                  22 equal to 1 times N.                  23 So you need to understand the whole thing before you                  24 criticise Atkins or -- you cannot criticise Atkins just                  25 by using equal to 1.5 N.</p>	<p>1 CHAIRMAN: So that it should be a standard action at the end                  2 of screwing it in, to just ensure butt-to-butt by using                  3 a wrench to tighten?                  4 A. Maybe. Make sure they apply at least a certain amount                  5 of force, maybe a wrench with certain amount of force,                  6 to make sure they are in full contact with each other.                  7 This is very important --                  8 COMMISSIONER HANSFORD: Because -- and again I'm looking to                  9 the future, not back to what's happened on this job, but                  10 of course BOSA don't currently recommend any particular                  11 torque to be applied?                  12 A. I agree.                  13 COMMISSIONER HANSFORD: And your suggestion here is that                  14 they should?                  15 A. They should.                  16 COMMISSIONER HANSFORD: Thank you.                  17 Re-examination by MR KHAW                  18 MR KHAW: Dr Lau, just perhaps two matters I wish to further                  19 discuss with you.                  20 A. Sure.                  21 Q. If we can turn to the transcript of yesterday, page 151,                  22 line 11 -- that's Mr Shieh's question to you -- the                  23 question was:                  24 "But there are one or two big principles that I want                  25 to put to you. Within the EWL slab, none of the</p>
Page 42	Page 44
<p>1 This is what I mean. Do you understand what I mean                  2 by locking stress?                  3 COMMISSIONER HANSFORD: Thank you. I shall look back                  4 through my notes to see the relevance of it, but thank                  5 you.                  6 Sorry, I had two questions. My second question                  7 relates to any future recommendations that this                  8 Commission may make regarding the use of couplers.                  9 We have seen how important the visual inspection is                  10 of the number of threads that are exposed, and I don't                  11 want to go into here whether or not that represents                  12 a butt-to-butt connection. But my question is: do you                  13 think there can be a more fool-proof method of ensuring                  14 that a correct connection has been made in this type of                  15 coupler for the future use of these couplers, a more                  16 positive, deliberate means of ensuring a proper                  17 connection?                  18 A. A butt-to-butt requirement is for permanent elongation                  19 as well as compression; right? So this is a very                  20 important point. So it's important that we tighten it                  21 up. If we tighten it up, we can ensure butt-to-butt in                  22 this case, so I reckon, if you ask me, I would make sure                  23 that the workers will use pipe wrench to tighten up the                  24 bar against the coupler, to make sure they are in full                  25 contact with each other.</p>	<p>1 couplers were subject to a ductility requirement, do you                  2 accept that, within the EWL slab?"                  3 Then your answer was:                  4 "You mean according to the drawing or --                  5 Question: According to the drawings.                  6 Answer: According to the drawings, it seems to be                  7 the case, yes.                  8 Question: So if that is the case, it would follow                  9 that couplers installed in the EWL slab only needed to                  10 fulfil the load requirement of 529 megapascals?                  11 Answer: If there is no requirement for moment                  12 redistribution, yes, I agree.                  13 Question: No, if there is no requirement of                  14 ductility, then according to the documents we have seen                  15 from the BD perspective, the test to be reached is 529?                  16 Answer: I agree. When it was originally designed,                  17 there was no anticipation of moment redistribution in                  18 the original design. It's only in the updated design                  19 that moment redistribution was required."                  20 That is just trying to refresh your memory on what                  21 was discussed yesterday.                  22 In relation to this ductility requirement, in fact                  23 we can just remind ourselves what was actually discussed                  24 in part 1 of this Inquiry. If I can just take you to                  25 perhaps one small paragraph of the closing submissions</p>

Page 45	<p>1 regarding part 1 of the Inquiry prepared by</p> <p>2 Mr Pennicott's team. If I can just show you that</p> <p>3 particular passage. It's paragraph 184.</p> <p>4 This is Mr Pennicott's team dealing with Leighton's</p> <p>5 argument on the ductility requirement. They say:</p> <p>6 "Paragraphs 115, 120 ... advance an entirely new</p> <p>7 point with regard to the non-applicability of the QSP.</p> <p>8 It is self-evidently an ex post facto argument conceived</p> <p>9 by Leighton's legal team. It is submitted that the</p> <p>10 contention is likely to be incorrect. In a nutshell,</p> <p>11 Leighton seeks to argue that, aside from the D-walls,</p> <p>12 the QSP only applies to coupler assemblies with</p> <p>13 a 'ductility requirement' and, in that regard, point to</p> <p>14 (a) appendix VIII of BD's conditional acceptance letter</p> <p>15 which refers to 'ductility requirement' and (b) certain</p> <p>16 drawings which contain the annotation 'ductility zone'.</p> <p>17 Such drawings only apply to the intersection of the</p> <p>18 D-wall and the NSL slab at area A. So, it is reasoned</p> <p>19 [by Leighton], the QSP only applies to that particular</p> <p>20 area. Whilst the government's and MTR's response to</p> <p>21 this new contention is awaited, it is pointed out that</p> <p>22 the QSP itself provides, inter alia, 'For the purpose of</p> <p>23 this document ... Seisplisce type II (ductility</p> <p>24 coupler -- use in any location).' In other words, the</p> <p>25 QSP applies to all ductile couplers and not just ductile</p>	Page 47	<p>1 Pausing here, I just want to make clear that I do</p> <p>2 not wish to discuss butt-to-butt with you. I do not</p> <p>3 wish to discuss that topic with you any more. Just to</p> <p>4 make sure that I will not be more unpopular.</p> <p>5 If we read further:</p> <p>6 "He has to tell his supervisor and let him decide,</p> <p>7 let the supervisor decide.</p> <p>8 Question: But every time he couldn't screw in</p> <p>9 further he tells his supervisor, but every bar at some</p> <p>10 stage he would reach a dead end, so every bar he</p> <p>11 couldn't screw any further he tells his supervisor?"</p> <p>12 Then your answer was:</p> <p>13 "I tell you, it's not that difficult to fit in the</p> <p>14 threaded bar into the coupler. It's not as difficult as</p> <p>15 you said. It's not difficult. I tell you. We are</p> <p>16 sitting in this courtroom and imagining that it is very</p> <p>17 difficult, but it's not that difficult ... Most of the</p> <p>18 workers can put it in quite easily. On my site there's</p> <p>19 no problem."</p> <p>20 In fact this question regarding whether it was</p> <p>21 a difficult job in fact had been also discussed in this</p> <p>22 Inquiry. If I could just very briefly refresh our</p> <p>23 memory by taking you to the evidence from Fang Sheung.</p> <p>24 It's COI 1, E1/29.3. That's from the representative of</p> <p>25 Fang Sheung, Mr Pun. Paragraph 7:</p>
Page 46	<p>1 couplers within a ductility zone."</p> <p>2 So apparently it is the Commission's legal team's</p> <p>3 submission that the ductility requirement as specified</p> <p>4 under the QSP should apply to all ductile couplers in</p> <p>5 all locations, not just some specified locations.</p> <p>6 Did you have a chance to look at this part of the</p> <p>7 closing submissions by the Commission's legal team?</p> <p>8 A. No.</p> <p>9 Q. Having seen these submissions, if you look at Mr Shieh's</p> <p>10 question again, which is about whether, within the EWL</p> <p>11 slab, none of the couplers were subject to a ductility</p> <p>12 requirement, what would be your views?</p> <p>13 A. Well, if this particular paragraph 184 is correct, then</p> <p>14 it should be used all over the place then. Then we need</p> <p>15 ductility coupler even in the EWL slab.</p> <p>16 Q. I see.</p> <p>17 The next matter that I wish to just very briefly</p> <p>18 discuss with you -- it's a matter discussed at page 126</p> <p>19 of the transcript yesterday. We can start from line 5.</p> <p>20 Again, Mr Shieh's question:</p> <p>21 "How would the poor worker know whether or not, when</p> <p>22 he couldn't push in any further, it's because it has</p> <p>23 already reached butt-to-butt or it's because of some</p> <p>24 misalignment or some mishap that he couldn't push any</p> <p>25 further? How was he to know?"</p>	Page 48	<p>1 "Although Fang Sheung is only a small-scale company</p> <p>2 that makes every endeavour for rewards, it is definitely</p> <p>3 a credible and reputable company ..."</p> <p>4 Then if we move on:</p> <p>5 "According to the sub-contracting contract,</p> <p>6 Fang Sheung only provided bar-fixers to work according</p> <p>7 to the instructions of Leighton, while all the materials</p> <p>8 were prepared and responsible by Leighton. If the</p> <p>9 coupler screw cups fixed to the concrete unit were</p> <p>10 damaged and therefore making it impossible for the screw</p> <p>11 heads of the steel bar to be fastened, Fang Sheung would</p> <p>12 only need to notify the site supervisor of Leighton.</p> <p>13 The bar-fixers of Fang Sheung would never need to figure</p> <p>14 out the solutions themselves. Under such circumstances,</p> <p>15 why would it be necessary for Fang Sheung to engage in</p> <p>16 fraud? Meanwhile, under normal circumstances ... it</p> <p>17 will only take the workman of Fang Sheung around 20 to</p> <p>18 30 seconds to completely twist the steel bars screws</p> <p>19 onto the screw cups. However, it would take at least</p> <p>20 1.5 minutes to 2 minutes to use a portable electric</p> <p>21 shear to cut short the screw heads of a steel bar during</p> <p>22 the operation."</p> <p>23 Then we also discussed this point with Mr Kit Chan</p> <p>24 of MTRCL. If we can just have a quick look at his</p> <p>25 evidence at COI 2, in the transcript of Day 16, page 41.</p>

Page 49	<p>1 Scroll down a little bit. Yes, I think that's the</p> <p>2 answer of Mr Kit Chan. Can we scroll down a bit? Yes:</p> <p>3 "That's the issue. You want to make sure that you</p> <p>4 have a document -- now, like I say, I would let it slide</p> <p>5 for ..."</p> <p>6 Sorry, I might have got the reference wrong. It</p> <p>7 should be Day 14 of COI 2, page 41. We can start from</p> <p>8 page 40, the last bit. That is evidence of Mr Kit Chan:</p> <p>9 "Normally, I think my colleague, Victor Tung,</p> <p>10 I mentioned yesterday, will check it visually, and also</p> <p>11 randomly use manual check; right? This is a standard</p> <p>12 practice in the industry. This coupler installation is</p> <p>13 so easy job, like capping beam, a plastic cap to a dowel</p> <p>14 bar in a movement joint, a very simple operation, have</p> <p>15 been in the industry for many, many years. It's just</p> <p>16 the expectation. What to expect, what kind of</p> <p>17 expectation from the government for record-keeping? But</p> <p>18 now everyone knows that the government want more</p> <p>19 record-keeping for coupler installation, people start</p> <p>20 preparing all these records now. In the past, probably</p> <p>21 they don't expect this [to be a] requirement."</p> <p>22 So having seen the evidence of Fang Sheung and also</p> <p>23 the evidence from Mr Kit Chan of MTRCL regarding whether</p> <p>24 coupler connection was a difficult task -- now, going</p> <p>25 back to your answer given to us yesterday --</p>	Page 51	<p>1 And all of these things will, from time to time, in</p> <p>2 a day's work, present the team with something less than</p> <p>3 an easy job.</p> <p>4 A. Yes. Maybe one or two bars but in general I don't think</p> <p>5 it's difficult. In general, I don't think it is.</p> <p>6 CHAIRMAN: Right.</p> <p>7 MR KHAW: Lastly, just one point regarding the answer you</p> <p>8 gave this morning, as recorded in the transcript. If</p> <p>9 I can just take you to -- well, I can read from [draft]</p> <p>10 line 18:18 of the transcript, where you said:</p> <p>11 "Then what you said can be useful because we want to</p> <p>12 find out what caused the collapse and we do a lot of</p> <p>13 investigation, coring of the building, to find out the</p> <p>14 [conversion] strength of the concrete and do it in the</p> <p>15 back analysis, to see what happened."</p> <p>16 Did you mean to say "conversion strength" or other</p> <p>17 strength here?</p> <p>18 A. Concrete strength, I think. The concrete strength of</p> <p>19 the concrete. What did I say, sorry? Let me have</p> <p>20 a look.</p> <p>21 I think I mean the current strength of the concrete.</p> <p>22 I believe that's what I said, "current strength of the</p> <p>23 concrete".</p> <p>24 MR KHAW: Thank you. I have no further questions.</p> <p>25 MR BOULDING: Sir, I've now got Dr Mike Glover here, who is</p>
Page 50	<p>1 CHAIRMAN: Sorry, Mr Kit Chan, again, his position was ...?</p> <p>2 MR PENNICOTT: Construction manager.</p> <p>3 MR KHAW: The construction manager of MTRCL.</p> <p>4 CHAIRMAN: Thank you.</p> <p>5 MR KHAW: If we can go back to your answer yesterday, when</p> <p>6 you told us that it was not a difficult job in answer to</p> <p>7 Mr Shieh's question, can you tell us why you said that?</p> <p>8 A. I don't think there's any big problem in general. Well,</p> <p>9 maybe one or two bars they have difficulty, but in</p> <p>10 general I don't think it's difficult to screw in the</p> <p>11 bar. I don't think it is. They can do it -- I'm not</p> <p>12 aware of any big difficulty in the screwing in of the</p> <p>13 bar on my site at all. But anyway, I think I agree with</p> <p>14 the sub-contractor's view that it is not difficult to</p> <p>15 screw in the bar too.</p> <p>16 CHAIRMAN: No, I don't think we have taken it as the</p> <p>17 overwhelming evidence that it is difficult in itself.</p> <p>18 It's not a highly technical, complex operation requiring</p> <p>19 particular agility or anything of that kind. What we've</p> <p>20 taken it as being is a fairly -- in terms of engineering</p> <p>21 construction, a fairly mundane job, but nevertheless you</p> <p>22 are using heavy materials, you are often using them in</p> <p>23 cramped circumstances, and not always is every coupler</p> <p>24 set at correct right angles. Not always are they clean.</p> <p>25 And there may be occasions when they are even damaged.</p>	Page 52	<p>1 raring to go, but I see the time. You may well want to</p> <p>2 take the coffee break and perhaps peruse his</p> <p>3 presentation, which has been delivered, I trust, to you</p> <p>4 this morning.</p> <p>5 CHAIRMAN: I haven't seen it yet.</p> <p>6 MR PENNICOTT: We received it a little earlier but I don't</p> <p>7 think it's reached you yet.</p> <p>8 CHAIRMAN: That's fine, in which case a coffee break will be</p> <p>9 ideal now. Thank you.</p> <p>10 MR PENNICOTT: Sir, before we do break for coffee, may</p> <p>11 I raise one point, because it may be convenient to deal</p> <p>12 with it now, before we start with Dr Glover.</p> <p>13 You will be aware that in the last couple of days,</p> <p>14 two further witness statements have been served on</p> <p>15 behalf of Leighton, both from Mr Man Sze Ho who we have</p> <p>16 heard from previously. So we've got now his third and</p> <p>17 fourth witness statements. His third witness statement</p> <p>18 deals with certain of the photographs that were referred</p> <p>19 to in Mr Southward's presentation, and his fourth</p> <p>20 witness statement, which I understand the Commission has</p> <p>21 given permission to put in, as it were, this morning,</p> <p>22 deals with the method statements and the difference</p> <p>23 between the two method statements that we were looking</p> <p>24 at last week.</p> <p>25 So far as the Commission's legal team is concerned,</p>

Page 53	Page 55
<p>1 we do not desire Mr Man Sze Ho to come along to give                  2 evidence, live evidence, as it were, about either of                  3 those two witness statements. If any of the other                  4 parties take a different view about that, then obviously                  5 they need to speak up relatively quickly so that we can                  6 arrange for Mr Man Sze Ho to come along. As I say, from                  7 the Commission's legal team's point of view, we don't                  8 require that. As I say, I'm giving everybody else the                  9 opportunity, should they wish to take it.                  10 CHAIRMAN: Good. Very well, gentlemen. Thank you.                  11 15 minutes.                  12 (The witness was released)                  13 (11.30 am)                  14 (A short adjournment)                  15 (11.52 am)                  16 MR BOULDING: Good morning again, Chairman and                  17 Prof Hansford. I'm now calling Dr Mike Glover, and                  18 I assume, as with the project management experts last                  19 October, he will be regarded as still on oath from                  20 giving evidence last time.                  21 CHAIRMAN: Yes, absolutely.                  22 DR MIKE GLOVER (on former oath)                  23 Examination-in-chief by MR BOULDING                  24 MR BOULDING: But perhaps, Dr Glover, you can remind the                  25 learned Commissioners of your name and professional</p>	<p>1 A. They are.                  2 Q. Insofar as you refer to facts, are they facts which you                  3 honestly believe to be true?                  4 A. Correct.                  5 Q. You've prepared a second report, the Extended Inquiry                  6 report, and I hope we'll find the first page at ER1/12.                  7 Yes, splendid. Is that the first page of your report,                  8 again bearing the date of 6 December 2019?                  9 A. It is.                  10 Q. If we go on to page 17, there do we see again your                  11 signature above the date of 6 December 2019?                  12 A. That's my signature.                  13 Q. And again, subject to any amendments in the joint                  14 statement and the supplemental joint statement, are the                  15 views and opinions set out therein views and opinions                  16 which you honestly held?                  17 A. Yes.                  18 Q. Insofar as you recite facts, are they facts which you                  19 believe to be true?                  20 A. Correct.                  21 Q. I'd like to go on to the joint memorandum dated                  22 12 December 2019. That's ER2/18.1/1. There do we see                  23 a manuscript note. Who took that note?                  24 A. Prof McQuillan, and you can see I've signed it on the                  25 last page.</p>
Page 54	Page 56
<p>1 address?                  2 A. Yes. I'm Mike Glover and I'm a structural engineering                  3 expert on behalf of MTR.                  4 Q. Do I understand that you prefer to give at least your                  5 presentation standing?                  6 A. I would prefer that. I've got a slight cold and cough                  7 and I feel if I stand up I won't cough quite so much.                  8 Not only that, I want to use the board.                  9 CHAIRMAN: In which case, please stand up.                  10 A. So if I suddenly go into convulsions, you'll understand;                  11 you've been alerted to it.                  12 MR BOULDING: Before you start coughing, Dr Glover, we have                  13 one or two formalities to go through. Perhaps I can                  14 take you to your Original Inquiry structural engineering                  15 report which I hope we will find at ER2/16.1. Yes,                  16 there we are. Is that the first page of your Original                  17 Inquiry report dated 6 December 2019?                  18 A. Correct.                  19 Q. Could we go on, please, to page 1634. There do we see                  20 your signature?                  21 A. That's correct.                  22 Q. Subject to any amendments in the joint statement and the                  23 supplemental joint statement, first of all, are the                  24 views and opinions expressed therein views and opinions                  25 which you honestly held?</p>	<p>1 Q. That's correct. We can see it was the meeting of                  2 20 December 2019; correct?                  3 A. That's correct.                  4 Q. If we go on to page 5, there do we see your signature?                  5 A. Yes.                  6 Q. I think there are other documents confirming that it's                  7 been signed by Nick Southward and Dr Lau, but do the                  8 agreements and indeed disagreements set out therein                  9 accurately represent what was agreed or disagreed                  10 between you and your fellow experts?                  11 A. They do.                  12 Q. Finally, the supplemental memorandum of agreement dated                  13 2 January -- I think we get that at ER2/19.2, and there                  14 do we see a supplemental memorandum of agreement signed                  15 some four or five days ago?                  16 Perhaps we could scroll down, and there we see                  17 everyone's signature apart from Mr James Lau, but                  18 I think I've seen his signature somewhere else. But in                  19 any event, does the --                  20 A. It is there, just by signature. It's the squiggle at                  21 the end there.                  22 Q. Splendid. Do the contents of that supplemental                  23 memorandum represent agreements and disagreements                  24 between you and your fellow experts?                  25 A. They do.</p>

Page 57	Page 59
<p>1 MR BOULDING: Thank you very much. You know the procedure</p> <p>2 from last time but as you've explained, you'd like to</p> <p>3 make your presentation and I'd invite you to do that</p> <p>4 now. Thank you very much.</p> <p>5 Presentation by DR GLOVER</p> <p>6 A. Thank you very much indeed. I'm afraid my presentation</p> <p>7 is going to be a bit longer than I intended. The reason</p> <p>8 for that is as this hearing has progressed, there seem</p> <p>9 to have been a number of matters that have arisen that</p> <p>10 really do need to be clarified and explained as best as</p> <p>11 I can to the Commission, and put to bed, so to speak,</p> <p>12 because there are a lot of issues just hovering around,</p> <p>13 and as far as I'm concerned they haven't got a home and</p> <p>14 they should have a home. So I've done my best to do</p> <p>15 that in what follows.</p> <p>16 To start with, though, I've got to pick up on the</p> <p>17 discussion that Dr Lau had at the end about risk and</p> <p>18 load factors and safety factors. I'll go into some</p> <p>19 detail in this in my presentation. But I want to hit</p> <p>20 that one head-on because I don't want there to be any</p> <p>21 misunderstanding in the terminologies that one uses.</p> <p>22 (Writing on the whiteboard) If you imagine at the</p> <p>23 start of a project, inception, you have a list of risks,</p> <p>24 things you have to consider, and you write them down</p> <p>25 under various headings like "Design", you look at</p>	<p>1 the information when we need it. Many projects fail</p> <p>2 because that particular operation is not carried out at</p> <p>3 the beginning of a project, in the thoroughness that it</p> <p>4 should be.</p> <p>5 But the thing I want to draw attention to, and this</p> <p>6 is where the misunderstanding between Dr Lau and I</p> <p>7 I think arises -- it's all in words -- that list goes</p> <p>8 right the way through to the final demolition of the</p> <p>9 building. It goes all the way through. So all of these</p> <p>10 issues are considered.</p> <p>11 The point I'm making is a great chunk of those are</p> <p>12 in that stage there, and when you've gone through the</p> <p>13 construction stage, those risks have been removed or at</p> <p>14 best, or worst, mitigated. In other words, you know</p> <p>15 what you are dealing with. I've spent my life designing</p> <p>16 things and getting them built, and design is the worst</p> <p>17 stage of all in terms of being able to have certainty,</p> <p>18 because the only thing that you are sure of: there are</p> <p>19 many things that you won't know, and many of them arise</p> <p>20 during the construction sequence.</p> <p>21 This issue about designed load factors and lock-in,</p> <p>22 I'm not going back to that. It would take too long to</p> <p>23 explain. I don't agree with the 1.26 factor, it should</p> <p>24 be much less than that, but I'm not going into that.</p> <p>25 Those were some of the discussions that we had.</p>
Page 58	Page 60
<p>1 "Operations" -- I'm sorry about my writing; I'm not that</p> <p>2 good on these things -- and in here, a critical one is</p> <p>3 "Construction", and coming out of all these things is</p> <p>4 a whole list of knowns and unknowns.</p> <p>5 You do your absolute best to actually establish</p> <p>6 that. We carry out research as much as we can on the</p> <p>7 unknowns. Sometimes, to quote an American diplomat, you</p> <p>8 have unknown unknowns, but you go as far as you can.</p> <p>9 CHAIRMAN: Can you tell me what an unknown would -- give me</p> <p>10 an example because ...</p> <p>11 A. An unknown would be, for example, if you have never</p> <p>12 worked on a particular location, and therefore there is</p> <p>13 no precedent in terms of the site conditions, et cetera.</p> <p>14 That is a classic situation where you have to do</p> <p>15 everything from first principles.</p> <p>16 Something which is known but there are unknowns</p> <p>17 would be here in Hong Kong, in the sense that we know</p> <p>18 what the general succession of soils are, but we don't</p> <p>19 know precisely where the rockhead is or other issues,</p> <p>20 and we know they vary.</p> <p>21 So the way we approach a project is we do this list</p> <p>22 and we actually analyse them -- well, hopefully all</p> <p>23 organisations do this -- because we want to know knowns,</p> <p>24 we want to know the unknowns, so we can embark on the</p> <p>25 right research projects at the right time, so we have</p>	<p>1 But the point I wanted to get across with this at</p> <p>2 the outset is: we consider all the risks, right the way</p> <p>3 through to the demolition of the construction. A big</p> <p>4 chunk of those are during construction, and you've got</p> <p>5 a much better picture of what's before you after</p> <p>6 construction than you did before. So I would say</p> <p>7 I can't agree with an answer that says "I don't know the</p> <p>8 situation better after construction than I did before".</p> <p>9 You know, it doesn't make sense. It's not common sense</p> <p>10 to say that.</p> <p>11 COMMISSIONER HANSFORD: But the main point was there are</p> <p>12 still unknowns after construction?</p> <p>13 A. Absolutely, and this list goes on, but they are less.</p> <p>14 You've taken out a whole lot of the risks. That's the</p> <p>15 point. And at the beginning, that's why I say the risk</p> <p>16 profile is greatest at the design stage because once</p> <p>17 you've designed it you've had to compensate for all</p> <p>18 these things already. It's no good something cropping</p> <p>19 up here (indicating) if you hadn't thought about it.</p> <p>20 The design is there, it's constructed.</p> <p>21 I can't explain it any better than that. I think</p> <p>22 I'll return to my presentation.</p> <p>23 CHAIRMAN: Yes.</p> <p>24 A. Thank you.</p> <p>25 Could I have the first slide, please. Just to</p>

Page 61	Page 63
<p>1 re-state my position, I believe that the structures are                  2 safe and they possess a satisfactory reserve of                  3 strength. I can go into much more detail on that                  4 statement if you wish, but I will develop that.                  5 The structures are, on a structural integrity and                  6 performance basis, fit for purpose in that they are --                  7 picking up some of the words that Dr Lau uses -- stable,                  8 robust and they are durable.                  9 Both Prof McQuillan and Mr Southward are also of                  10 that view, and that's as stated in the joint experts'                  11 statement that Mr Boulding referred to. Dr Lau does not                  12 agree and has reservations. I say "reservations"                  13 because he does not disagree carte blanche, he has                  14 specific reservations, and I'd like to deal with them as                  15 I go through the presentation, to see to what extent                  16 I have properly addressed them, and I'm clearly open,                  17 through cross-examination, for clarification on that.                  18 My opinions are not based on considerations of code                  19 or contract or statutory requirements. They are just                  20 simply my engineering appraisal of the information and                  21 data that I have before me.                  22 I would like then to continue with --                  23 COMMISSIONER HANSFORD: Sorry, you had a final sentence                  24 there which I think is also rather important.                  25 A. Okay. The structure can be considered safe and fit for</p>	<p>1 from.                  2 I've already made the point in the second bullet                  3 point, which is that the situation at the inception and                  4 the design stage is very different from that where                  5 you've got all these unknowns and uncertainties I was                  6 describing, and these all have to be allowed for, as                  7 a designer, at the outset. It's too late thinking about                  8 it when the thing is constructed, as I think you will                  9 see. But in the post-construction stage, many of these                  10 unknowns and uncertainties become knowns and                  11 certainties, and they provide a more confident basis for                  12 evaluating the safety and performance of the structure,                  13 particularly regarding its loading and its materials.                  14 I would also add its geometry. Geometry is very, very                  15 important in such a very large structure as this.                  16 In addition -- and this is really why we do have the                  17 benefit of -- this enormous amount of data that's been                  18 produced from the extensive situation and surveys made                  19 on the Hung Hom Station, I wouldn't say it's without                  20 precedent but it is something which is beyond the                  21 normal, and I've taken advantage of that quantity and                  22 scope of the investigations in the evidence I will give.                  23 If I could just move to the next slide, please.                  24 These are some of the items I've slipped in, as it were.                  25 They wouldn't have formed part of my original</p>
Page 62	Page 64
<p>1 purpose but it doesn't have to be fully compliant with                  2 either the code, the contract or any other statutory                  3 instrument. It's a demonstration of physical laws and                  4 tests and investigations. It's evidence, basically.                  5 So, put another way, my approach is                  6 an evidence-based approach. I try, in my evidence that                  7 I am giving to you, not to rely on hearsay or "I feel                  8 it's all right". I try to deal with some quantitative                  9 facts.                  10 That is one of the problems of the hearing over the                  11 last days: there has been a hell of a lot of qualitative                  12 statements made, and I think for the layperson that must                  13 be virtually impossible to come to terms with, because                  14 there's nothing tangible to hold onto. It's, "I feel                  15 it's okay." Well, that's not good enough, in my book.                  16 So if I then move on to the second slide, which is                  17 the engineering assessment. I want to emphasise these                  18 points because this is really a principle of approach.                  19 The first thing is it is a forensic analysis. By                  20 definition it is. This is not a design exercise. I'm                  21 looking at -- not complete, because people will                  22 misunderstand my statement -- an as-constructed form,                  23 and I'm looking at it dimensionally, I'm looking at it                  24 in terms of its material properties, and just the                  25 general loadings, et cetera. So that's where I'm coming</p>	<p>1 presentation. But because of some of the issues that                  2 have been raised, I thought I wanted to do my best to                  3 try to help clarify them.                  4 So I will take them each in turn. Could I have the                  5 next slide, please. Conceptually, stability and                  6 robustness are very difficult to describe, actually, so                  7 I've tried it this way. On the left-hand side you have                  8 a ball sitting in the bottom of a valley. It's stable.                  9 Then on the right-hand side you have a ball standing at                  10 the top of a hill. It's stable. The one on the                  11 left-hand side, if you were to give it a slight nudge                  12 one way or the other, it would come back to a position                  13 of stability. However, if you push the ball on the                  14 right-hand side, just a small nudge makes it fall into                  15 the abyss, and that is the difference. A structure can                  16 be, to all intents and purposes, very, very stable, but                  17 is it susceptible to a disproportionate collapse                  18 situation for a very small input? And that's what                  19 robustness is about. It's about providing that                  20 provision that says if something is not there or                  21 stability is not in place, what compensates for it.                  22 So that's my crude attempt to try to get across to                  23 you how you can have stability but perhaps not                  24 robustness.                  25 Could I have the next slide, please. The other</p>



Page 65	Page 67
<p>1 thing I wanted to try to help the Commission with is --</p> <p>2 lots of numbers have been bandied about testing for this</p> <p>3 stress and that stress. This is just a straightforward</p> <p>4 stress-strain relationship, interestingly enough of</p> <p>5 a coupled connection, but I won't go into that. That</p> <p>6 will open up Pandora's box. Just call it</p> <p>7 a reinforcement bar.</p> <p>8 One of the discussions that took place the other</p> <p>9 day, yesterday I think, was the difference between the</p> <p>10 stresses that a coupler is tested to, whether it's</p> <p>11 ductile or not ductile. The non-ductile one is</p> <p>12 I believe tested to about 520 somethings, and you can</p> <p>13 see that's that little blip just below there, and that's</p> <p>14 to do with -- you can see the line is virtually straight</p> <p>15 from the origin.</p> <p>16 You see, I think, that there (indicating), this line</p> <p>17 here (indicating) is virtually straight, we call it</p> <p>18 linear, and so that test that's carried out on the</p> <p>19 non-ductile coupler is really testing its elastic</p> <p>20 response. But when it's ductile, the coupler has to</p> <p>21 have a degree of plasticity and so therefore it has to</p> <p>22 be able to stretch to this point.</p> <p>23 So that's really the difference between those two</p> <p>24 tests. The first test is a test against linearity and</p> <p>25 the second test is to see to what extent it has</p>	<p>1 we get into discussions about cracking and deformation,</p> <p>2 all the standards on cracking and deformation are based</p> <p>3 around 260. So when you are working at 130 or less,</p> <p>4 then the opportunities or the chances of such things</p> <p>5 like large amounts of deformation, vibration, cracking,</p> <p>6 are massively reduced, as evidenced when you walk around</p> <p>7 the structure.</p> <p>8 So I hope that slide has put some of those things</p> <p>9 into perspective.</p> <p>10 Could we have the next slide, please. Right. Oh,</p> <p>11 now, I think you should hold on to your seat with this</p> <p>12 one, judging by the conversations that have taken place</p> <p>13 already. So I think we should pause for a moment and</p> <p>14 just get ready for it. I've got two slides on concrete</p> <p>15 strength and I will go to the board for a third one,</p> <p>16 really.</p> <p>17 Basically, this figure -- I have taken 40, for</p> <p>18 example, which is the design strength for the EWL slab.</p> <p>19 It's a look-up table, as you saw from one of the</p> <p>20 presentations -- I think Mr Khaw showed it -- it's</p> <p>21 a look-up table. It doesn't come out of some</p> <p>22 experimental mix designs we do and then we smash the</p> <p>23 cubes and do whatever. For example, if I was carrying</p> <p>24 out an experiment on something, then what I would do is</p> <p>25 I would make my concrete, I would make a sufficient</p>
Page 66	Page 68
<p>1 plasticity. Quite straightforward.</p> <p>2 But we are not designing at anywhere near those</p> <p>3 stress levels. As you can see from here, you continue</p> <p>4 pulling the bar and it keeps going to in excess of 650,</p> <p>5 as a number. Our design is based on two limit states.</p> <p>6 The first limit state is meant to represent collapse, as</p> <p>7 it were, and that's what we call the ultimate strength.</p> <p>8 You can see the stress we are using in our design of 400</p> <p>9 is well below any of the figures previously. Now,</p> <p>10 I wouldn't want to change the codes, don't misunderstand</p> <p>11 me, but I'm just trying to give you a feeling for the</p> <p>12 margins that we have in the materials that we use, and</p> <p>13 absolutely correctly.</p> <p>14 But the working stress that we would design</p> <p>15 a structure to would be this other number down here</p> <p>16 (indicating), 260 or thereabouts, 200, that sort of</p> <p>17 number. If we were designing to that level, if the</p> <p>18 whole structure was at that stress level, it would be</p> <p>19 designed to its optimum level. But life isn't like</p> <p>20 that, as we've seen with this particular project, and in</p> <p>21 fact what we are doing with this project is we're down</p> <p>22 here (indicating), 130 or less.</p> <p>23 So when you start to actually add up all of these</p> <p>24 factors in terms of the safety of the structure and the</p> <p>25 strength reserves in it, it's quite enormous, and when</p>	<p>1 number of cubes, which I would test, that would help me</p> <p>2 then to understand what the strength of the concrete was</p> <p>3 in the model that I had crushed or broken or whatever.</p> <p>4 In that case, I would analyse those cubes and I would</p> <p>5 use either the mean value, which is the average of the</p> <p>6 scatter, of the distribution, or, if I was looking at</p> <p>7 an extreme design position, I would be looking at what's</p> <p>8 called the 95 per cent passing level.</p> <p>9 That's what I would do in a laboratory, but what has</p> <p>10 happened with the standards that have been drawn up,</p> <p>11 it's basically a "deemed to satisfy" situation. You</p> <p>12 look in the code, you look at this particular strength,</p> <p>13 and there is, on another manual, the mix design that</p> <p>14 will achieve that. Some check cubes are taken to</p> <p>15 demonstrate that that strength is achieved. Indeed, on</p> <p>16 this project, those test cubes were well above anything</p> <p>17 that you would have expected.</p> <p>18 So the 40 is not a number which has been derived by</p> <p>19 any tests or experiments as part of this project. It's</p> <p>20 a look-up table. Then, thereafter, you carry out -- and</p> <p>21 Dr Lau is correct, that we carry out a whole series of</p> <p>22 cube tests, I think on site there were probably</p> <p>23 6,000 plus, and that's what my big distribution curve</p> <p>24 next to it is, where I've got "Actual" is meant to --</p> <p>25 COMMISSIONER HANSFORD: Sorry, can you point to it?</p>

Page 69	Page 71
<p>1 A. Sorry, yes. That's what you would expect to get from                  2 the design, if you tested them, and this one here                  3 (indicating) is what was found, shall we say, with the                  4 cube strengths on site. You can see that conservatively                  5 they arrived at a 90 percentile of 60.                  6 The mean, this line ghosted in there, is more like                  7 about 85 or thereabouts, about that order.                  8 All I'm explaining here is that's a wealth of                  9 knowledge and it seems a bit churlish to say it doesn't                  10 exist, particularly when you think about the 40                  11 as look-up table, just by -- you know, it's                  12 a conservative figure, and again I'm not fighting                  13 against conservatism, I'm fighting against inappropriate                  14 conservatism, because that costs money and it costs                  15 resources and it costs a waste of endeavour.                  16 So that's a very crude explanation between the                  17 difference between design and actual.                  18 Can I have the next slide, please. I do seem to be                  19 on a collision course with Dr Lau -- I've been in and                  20 out of Hong Kong for a long while, and the concrete                  21 technology 50 years ago is very, very different from                  22 what it is now. I mean, MTR -- and to draw a comparison                  23 between 50 years both in terms of its quality control,                  24 even its chemical constituents, and today is totally                  25 inappropriate. Sorry, I should have left out the word</p>	<p>1 you've got this composite material which is achieving                  2 different objectives, early strength on the one hand and                  3 then this slow, relentless increase in strength with                  4 time with the pozzolanic materials. That wasn't the                  5 case 50 years ago.                  6 I won't go into any more depth on that, I will just                  7 go into the next point, which is historically, in terms                  8 of the quality of construction in Hong Kong, there is                  9 a massive difference between buildings and                  10 infrastructure projects. And that gap has closed, in                  11 fact it's now the same. But if you were to look back                  12 50 years ago or even less than 50 years ago, you would                  13 be astonished at the working practices in a lot of the                  14 construction projects for buildings, not in                  15 infrastructure, because the controls were much, much                  16 more rigorous. In fact it's best that I don't say too                  17 much more about that, in other words, because it is                  18 a matter of fact and documentation that there has been                  19 this situation.                  20 There were some very, very good building                  21 contractors. I wouldn't want to group everybody                  22 together. Some of the projects we deal with, Hopewell                  23 Construction, for example, were magnificent and                  24 whatever, so I wouldn't want to tar everybody with the                  25 same brush.</p>
Page 70	Page 72
<p>1 "totally"; it's inappropriate.                  2 Interestingly enough, particularly since the turn of                  3 the century, probably a little bit before that, MTR have                  4 led the way in mix design in concrete in Hong Kong, and                  5 they and other organisations and government, in this                  6 respect, have gone a long way to actually changing the                  7 mix designs that existed 50 years ago, and one of the                  8 major -- I mean, we use admixtures quite a lot -- the                  9 honeycombing, for example, was a failure to use the                  10 proper admixture and the right aggregate design. I'm                  11 not going into that. It's got nothing to do with                  12 strength; that's to do with workmanship. But one of the                  13 major ingredients in a modern concrete is the addition                  14 of what I've referred to there as a pozzolanic material.                  15 This is Roman concrete. It's a totally different                  16 chemical composition. I think I'm correct on this:                  17 a minimum of 25 per cent of modern concretes in                  18 Hong Kong contain this material. In fact it's referred                  19 to as a PFA which is pulverised fuel ash. It comes as                  20 a waste product from power stations, which is quite                  21 incredible, really. Maybe we are already in the cyclic                  22 economy; who knows?                  23 But what this does is, pozzolanic materials have                  24 a slow gain of strength with time, so it's a mix -- and                  25 when I say modern concretes are a mixture of materials,</p>	<p>1 But the fact is concrete technology has changed over                  2 50 years, the quality of workmanship has increased over                  3 those years, and the net result of that is: it's wrong                  4 to look at things which are that old and say, "Because                  5 of that, I now have this situation." It's not true.                  6 This is where I'm going to have to go to the board,                  7 with this next bullet point, because there seemed to be                  8 a lack of clarity on how the factors which control our                  9 design have been evolved, so I'll try to describe my                  10 third paragraph by going to the board.                  11 (Writing on the whiteboard) Thank you very much.                  12 Let's call it f for strength in situ. Now, we know that                  13 the strength in situ is not going to be the same as                  14 a cube or -- I'll refer to a cylinder to start with,                  15 because cylinders are used more regularly through the                  16 world than cubes. One is not superior to the other,                  17 it's just practice. But the relationship between f                  18 in situ and the design is 0.85, and that's cylinder, and                  19 that's used -- in all of the American Codes, for                  20 example, you'll find that relationship.                  21 So there's already a reduction factor taking place                  22 in terms of you've got the cylinder strength. You don't                  23 say it's the same as that. You say it's 0.85. And                  24 that's been derived from lots of research over many,                  25 many years. This is not new. This is at the heart of</p>

Page 73	<p>1 all of the ACI codes, for example, that simple 2 statement. 3 To get to cubes, there is a 0.8 factor, and I'll 4 explain why there's a 0.8 factor. That then arrives at 5 0.67 fcu. That's a cylinder. Now, the 0.8 factor is 6 because of the shape of the specimen. You take 7 a cylinder and you put it in a testing machine and you 8 get a number. If you put a cube in the same testing 9 machine, it's stronger, and the reason for that is 10 because it's a square and the testing regime. But this 11 relationship of 0.8 has been established over the years. 12 So that's why we use that. There's no black magic. 13 That's why we use 0.67. 14 That's on fcu and we've just had the discussion. 15 That's the design strength. Now, if you take my 16 hypothesis that we've got 6,000-plus cubes out there as 17 well as what I would call working practice elsewhere in 18 the world, then that fcu has now gone from 40 to 60. 19 And the net result of that is that I should really be 20 using something which is much less than this, in fact 21 two-thirds of that. So I'm already now down to 22 something much, much less than that figure. 23 Now, not satisfied with 0.67, we apply a material 24 reduction factor of 1 over 1.5. So when we design 25 a structure, we don't use 0.67. We use 0.45 fcu.</p>	Page 75	<p>1 Dr Lau referred to he would have great confidence or 2 greater confidence in our hypothesis of increased 3 strength if there had been cylinders taken and tested. 4 COMMISSIONER HANSFORD: Cores. 5 A. Yes, cores, but the cylinders. 6 I tried to find some for the structure, but 7 unfortunately -- or fortunately, whichever way you look 8 at it -- the cube strengths were always so high that 9 nobody had to go back and do some investigations and do 10 some corings. But we are fortunate in the sense that 11 the standard regulations in Hong Kong require diaphragm 12 walls to be cored, to ensure that we have this vertical 13 core of concrete all the way through. 14 So we have lots and lots of cube strengths, core 15 strengths, for this project, not in the EWL slab, not in 16 the NSL, but in the diaphragm wall. And these are 17 summarised, I think, in a number of the reports but 18 particularly in the AECOM report, and in the AECOM 19 expert report, they do refer to these cores, and with no 20 surprise as far as I'm concerned they show a mean 21 strength of about 79 and a characteristic strength -- in 22 other words, the 5 per cent -- of 62. 23 Now, the mix design for the diaphragm wall is 24 slightly different from that which is in the EWL slab, 25 but the fact is they are very, very similar. I don't</p>
Page 74	<p>1 That's why you see that. So when we do a design of 2 a column, shall we say, the maximum stress we take is 3 0.45 times fcu which is the design strength. But if you 4 then say: I've got -- I'm 40 down to 60, then, if I was 5 to use the 60 strength, I would be down at 0.3 fcu, but 6 this time that would be 60. And if I then say, 7 "Actually, I've got a lot of pozzolanic material here 8 and it's cooking away and fantastic and I will just use 9 one of the many growth curves of strength with time", 10 like in the Eurocode, this would be down to 0.2. 11 So, as I did with the steelwork, the metal, I'm just 12 trying to describe to you the levels of safety that 13 we've built into our structures is absolutely enormous. 14 Now, I'm not standing here advocating massive change to 15 this. I'm just trying to put to the Commission just the 16 sheer arithmetic of what we're talking about. We are 17 not talking about things teetering on the brink. We're 18 talking about modern materials and we are talking about 19 high levels of understanding of the structural mechanics 20 behind it. 21 I think I've done that. 22 (Returning to the witness box) I would also want to 23 add two things and I'm not sure how to deal with these, 24 in what order. I think I'll deal with the cylinder 25 strength first.</p>	Page 76	<p>1 know, I haven't been able to find out whether the ready 2 mix supplier was the same supplier or not, but the same 3 regime applies throughout, so if we are looking for, 4 I would say, not a smoking gun in this case but a sort 5 of golden bullet, there you are. There is the evidence 6 on this site that you have a design mix, which in that 7 case was 45 which had to be reduced by a factor of 0.8 8 because of tremying effects. So you've basically got 9 a design strength of 36 and we're getting cube strengths 10 at 95 per cent passing of 62, and a mean of 79 to 80. 11 I mean, my case rests, really, in the sense of doing 12 a forensic analysis, I emphasise this, I'm not 13 extrapolating this and saying this is what you've got to 14 do in Hong Kong. I'm saying, for this project, I'm more 15 than satisfied that the strength in the structure is at 16 least 60 and with an age factor applied to it now of 17 about three or four years which is quite considerable. 18 I hope that gives you a better feeling for some of 19 the language that's been used and some of the evidence 20 that perhaps hasn't been presented to you in the way 21 that it could have been. 22 If I could then move on to, I think -- now, this one 23 I will forgive people for sort of glazing over slightly, 24 but just so you start to absorb that diagram, I want to 25 pick up a few points which have been made generally</p>

Page 77	Page 79
<p>1 about the analysis of the structure.</p> <p>2 A lot has been talked about about the updated</p> <p>3 design, and in fact there's a reference to the</p> <p>4 consultants recommending the updated design. Well, that</p> <p>5 is not the case. We did not recommend that design or</p> <p>6 the parameters that were used. We were asked to</p> <p>7 consider what the effect of those parameters would be in</p> <p>8 the design of the structure. Indeed, MTR recognised</p> <p>9 that and they allowed -- not "allowed"; crumbs, it's our</p> <p>10 reports -- in our reports, they did not object to us</p> <p>11 bringing attention to some of the areas where we believe</p> <p>12 there was very large -- not "large", sorry -- there was</p> <p>13 conservatism beyond the level which we would think was</p> <p>14 appropriate.</p> <p>15 Interestingly enough, again, despite what has been</p> <p>16 said by some of the presenters, Atkins are of the same</p> <p>17 view, and if you look at Atkins' reports, I think it's</p> <p>18 in section 16 but I stand to be corrected, they list out</p> <p>19 a whole series of the designs or aspects of the updated</p> <p>20 design which they considered to be conservative.</p> <p>21 So the idea that all the consultants got together</p> <p>22 and said "This is what we've got to do" is incorrect.</p> <p>23 We agree with some of the parameters. We don't</p> <p>24 necessarily agree with all of them. And this point</p> <p>25 about the soils that Dr Lau brought up, about N equals</p>	<p>1 bring to your attention why I think the structure is</p> <p>2 safe and why I think it's fit for its purpose.</p> <p>3 I'm sorry about that long speech but I wanted to</p> <p>4 make that very clear because it could be misunderstood,</p> <p>5 and I would refer you to the Arup reports and to the</p> <p>6 Atkins report for reference purposes, if you wanted to</p> <p>7 get the essence of where we believe the design or the</p> <p>8 updated design is conservative.</p> <p>9 The second thing I want to build on before I delve</p> <p>10 into the wonderment of partial safety factors is this</p> <p>11 issue of factors of safety. I've just got to collect my</p> <p>12 thoughts slightly here. Dr Lau referred to his research</p> <p>13 in the early 1970s on soils with Prof Nash.</p> <p>14 Interestingly enough, obviously I was in London at the</p> <p>15 same time and I was working with another professor,</p> <p>16 Prof Henkel from Imperial College. King's College was</p> <p>17 really at the forefront of geotechnical design but so</p> <p>18 was Imperial and I worked with Prof Henkel, and it was</p> <p>19 the genesis of a number of non-linear analyses, there's</p> <p>20 no argument about that. We were more interested in</p> <p>21 London clay and other people were interested in -- so</p> <p>22 I do agree with the observation that a lot of the basic</p> <p>23 research that was done in the early 1970s actually --</p> <p>24 that was its genesis.</p> <p>25 But then Dr Lau goes on to sort of extrapolate to</p>
Page 78	Page 80
<p>1 1.5, indeed the Commission has a report that Arup</p> <p>2 produced back in September of last year where we</p> <p>3 analysed all the available data from the site -- in</p> <p>4 other words, I'm not going by hearsay or whatever, I'm</p> <p>5 just taking the sheer data and we worked through it --</p> <p>6 and we found that on this site, looking at the</p> <p>7 performance of the walls, they hardly moved, actually,</p> <p>8 during construction, that you would be looking at</p> <p>9 E equals much larger than 1.5. But we said, "Okay,</p> <p>10 we'll go with 1.5 if that settles everything", but no,</p> <p>11 that wasn't good enough; it had to be 1.</p> <p>12 All I'm saying to you is those parameters were not</p> <p>13 recommended by us. In our reports, we do draw attention</p> <p>14 to the fact that we do think they are conservative.</p> <p>15 I wouldn't want you to run away with the idea that they</p> <p>16 are massively, massively conservative, but they are</p> <p>17 conservative. So I don't want the Commission to believe</p> <p>18 that the updated design is something we said, "Yes,</p> <p>19 you've got to have this."</p> <p>20 If you wanted a parallel, I would say it was much</p> <p>21 more to do with a compliance design, in other words to</p> <p>22 try to demonstrate that the structure was compliant, and</p> <p>23 I have no problem with that at all, if that's what the</p> <p>24 objective was. But it's not my objective for this</p> <p>25 Commission. My objective for this Commission is to</p>	<p>1 the modern future and refers to software codes like</p> <p>2 FLAC, et cetera, but these are all geotechnical ones and</p> <p>3 we would never use those for structural design. They</p> <p>4 are brilliant, I use FLAC, for example if I'm tunnelling</p> <p>5 through chalk into soft rock, then it's very good.</p> <p>6 So it's a question of appropriateness of the</p> <p>7 software you use. I think that's possibly what he was</p> <p>8 trying to get across and I would agree with that</p> <p>9 100 per cent and I will show you some of the non-linear</p> <p>10 analysis that we've done using what I would call</p> <p>11 an appropriate software system later.</p> <p>12 But the other point that he made was about factors</p> <p>13 of safety being a local consideration, and I would</p> <p>14 embrace that, particular when it comes to soils, because</p> <p>15 the soil here in Hong Kong is not the same as the soil</p> <p>16 in my back garden, and so therefore the rules that you</p> <p>17 build up for soils -- and I'm referring now to Dr Lau's</p> <p>18 statement about slope angles in China and Hong Kong --</p> <p>19 they are local considerations. But when you are coming</p> <p>20 to concrete and steel, they are international. You</p> <p>21 know, you pick up one code and the language might be</p> <p>22 slightly different but the essence is exactly the same.</p> <p>23 If I remember correctly, Mr Southward, when asked a very</p> <p>24 similar question, answered it in a way that I think is</p> <p>25 probably the best way of responding and that is, if he</p>

Page 81	Page 83
<p>1 designed a bridge in America or here or anywhere else in                  2 what I would call the developed world, then it would be                  3 the same. You know, society doesn't, when it comes to                  4 things like concrete and steel, it doesn't have                  5 a different view, because there is an international                  6 consensus as to what it is.                  7 So it is -- excuse my frustration but it's                  8 an illogicality because all the evidence is there before                  9 you. There are always aspects which they've got this                  10 little nuance here or this nuance there, particularly if                  11 you are in a highly seismic area, then there would be                  12 special rules, and that would be local. But not                  13 concrete, not steel, not at its essence.                  14 So that gently brings me on to partial factors.                  15 I knew you couldn't wait; that's why I left it there.                  16 If I could try to help you with this. Gamma F, the one                  17 that's on the far right of the slide, the top one, that                  18 is what we call a load factor. So, in other words,                  19 let's say we've got a loading of 100 pounds per square                  20 foot and that's what we think it's going to be, we would                  21 apply a load factor to that of, let's say, 1.6, as                  22 an extreme ultimate value. So that's gamma F.                  23 The figure below, gamma M, is the factor that we                  24 apply to reduce the strength of materials. If you                  25 remember here, this 1.5.</p>	<p>1 enough, to take account of the construction loads that                  2 would have taken place and are no longer there. So the                  3 idea that you haven't actually written in "Allow for                  4 this construction load" is a load of rubbish because                  5 it's actually already included in the load factors. It                  6 comes in and then it goes out again, used for something                  7 else.                  8 But if you then take a 3 metre thick slab and you                  9 say it's going to be 15 per cent thicker,                  10 450 millimetres thickness of concrete, you've got to                  11 say: why? Why have I got to do that? For construction,                  12 most certainly, you've got to have a very, very robust                  13 load factor. You've got to make sure you've got stuff                  14 in there because the contractor might do something                  15 wilful, you know.                  16 But then when you sit back afterwards and you                  17 measure the thing and you find it's only -- I think the                  18 surveys have shown -- 20 millimetres more than                  19 3,000 millimetres thick, in other words, the variation,                  20 you've got to start saying to yourself: why is the                  21 design carrying this?                  22 In the forensic codes, and there's an excellent one                  23 based in the UK which is the appraisal of existing                  24 structures, it addresses this issue and it says: look,                  25 taking it down to 1 is a bit silly, really. You've got</p>
Page 82	Page 84
<p>1 Internationally, numbers like 1.5 on gamma M and                  2 gamma F, 1.4 to 1.5, that's what you end up for what                  3 I would say is a standard situation. But when you are                  4 looking at a forensic situation, you go back, so you go                  5 back to the second row, and you ask yourself questions                  6 about what makes up these factors.                  7 Now, the first one is the uncertainty in                  8 representative values of actions. This diagram is                  9 a direct lift from the Eurocodes. This is not something                  10 I've created. This is a figure C3, so it's in there.                  11 The first box in the first column is to do with                  12 dimensions, primarily. In other words, how thick is                  13 your slab. The second one in that column is to do with                  14 the analysis method: have you modelled it correctly? Is                  15 the length of the beams correct? Have you got the                  16 stiffnesses correct? And clearly, you are not going to                  17 get it absolutely right.                  18 Just to give you an indication, on the first one,                  19 the first box, at the top, it's normally what I would                  20 call a standard, no-thinking type of project. It would                  21 be 1.15; yes? Now, that would mean that if I had a slab                  22 200 millimetres thick, my calculations could allow that,                  23 if I was to look at it after the event, it could be                  24 30 millimetres more, but that's what it's to take                  25 account of, the variability. It's also, interestingly</p>	<p>1 other things in the future to take account of in weight,                  2 for example. So it talks about a variation between 1.15                  3 and 1.05; right? Small differences, I know, but                  4 actually, when you're talking about something as massive                  5 as this and you're worrying about fine judgments, it                  6 matters.                  7 The second factor is generally, in the second box                  8 down, that's generally taken as 1.2 and it's                  9 an ignorance factor. The thing I find most astonishing                  10 is it's 1.2, even if you did the calculation on the back                  11 of an envelope, or if you use the sophisticated tools                  12 that we use. It's exactly the same.                  13 So you can see, just talking about those two boxes,                  14 that there's plenty of room to actually sit back and say                  15 to yourself, "Hang on a second, these were appropriate                  16 for the design stage because I had all these unknowns,                  17 but I'm looking forward now to the forensic situation.                  18 Is it really sensible to judge it on those bases?"                  19 I've got to emphasise, in my appraisal of the                  20 structure, I've not taken advantage of any of this. I'm                  21 just telling you again, just as did with the                  22 reinforcement and I did with the concrete and I'm                  23 showing you now, what the margins of safety are that we                  24 are dealing with.                  25 Indeed, when we go down to the second one -- and</p>

Page 85	<p>1 I will spend less time on this because I can see that</p> <p>2 I've indulged myself enough -- the two boxes here, the</p> <p>3 first one, or the third one down, is really to do with</p> <p>4 things like: have I got the right level of cover, is the</p> <p>5 reinforcement in the right position? And the bottom one</p> <p>6 is to do with: have I got a rogue concrete mixer out</p> <p>7 there and has he really put some really bad stuff in?</p> <p>8 But the net effect of that is the Eurocode now will</p> <p>9 allow you to vary the gamma M, the most remote figure on</p> <p>10 the right-hand side, the 1.5, to 1.3 to 1.4, most</p> <p>11 certainly in a forensic situation, on the basis of the</p> <p>12 evidence of quality control.</p> <p>13 Now, there is no way I am going to say we should be</p> <p>14 applying 1.3 or 1.4 on this project, but I'm just saying</p> <p>15 to you that they are not cast in stone, and the</p> <p>16 reference is not me making these things up. These all</p> <p>17 come from international, recognised sources of</p> <p>18 information, which I think on any other project I would</p> <p>19 certainly bring to bear.</p> <p>20 I hope I've still got your attention after that.</p> <p>21 That was a bit of a battle.</p> <p>22 COMMISSIONER HANSFORD: It was very interesting.</p> <p>23 A. If I may move on then to the next slide, please. I said</p> <p>24 I would talk about structures 50 years ago or even now.</p> <p>25 On the left-hand side, there's what I would call</p>	Page 87	<p>1 slab because the last thing you want to do is go down to</p> <p>2 get your car in the car park and find the thing has gone</p> <p>3 into a hole, so you design it suspended.</p> <p>4 But what follows from that is the material</p> <p>5 underneath is extremely soft and loose, for various</p> <p>6 reasons. One of them is just the natural consolidation</p> <p>7 of the soil, because it's been loose-tipped, or just</p> <p>8 over time soils compact more and more, if they have not</p> <p>9 been consolidated, or, as Dr Lau referred to, you get</p> <p>10 fluctuations of water pressure which changes what's</p> <p>11 called the effective stress, and these cause the</p> <p>12 material to move away from the thing you constructed.</p> <p>13 I would be amazed if it was otherwise.</p> <p>14 But that's not what we've got. We've got, on the</p> <p>15 right-hand side, a big station box which is well into</p> <p>16 the CDG. The level difference between the rock and the</p> <p>17 bottom slab is measured in a few metres. The water is</p> <p>18 almost at ground level. The water -- to form that slab</p> <p>19 at the lowest level, the contractor had to dewater all</p> <p>20 the way down to the slab. He didn't employ divers. He</p> <p>21 formed the diaphragm walls, he dug down, he took the</p> <p>22 water level all the way down to the bottom of that slab,</p> <p>23 and then he cast the slab after preparing it.</p> <p>24 This is not a cowboy situation. We've got slides,</p> <p>25 we've got photographs which describe what's happening.</p>
Page 86	<p>1 a classic -- and this is not meant to represent any</p> <p>2 particular building, but that's the classic design that</p> <p>3 even today would be constructed, and that is you are</p> <p>4 dealing with a superficial deposit of reclaimed land or</p> <p>5 silt or sand, or marine deposits, and that's sitting</p> <p>6 above CDG, which is completely decomposed granite,</p> <p>7 sometimes it's MDG, which is mediumly decomposed</p> <p>8 granite. But basically it's decomposed granite which</p> <p>9 increases quite substantially with depth. In other</p> <p>10 words, the deeper you go, the soil gets much stiffer.</p> <p>11 Then finally you hit the rock and, as has been mentioned</p> <p>12 earlier, it's not as I've drawn it, like a nice flat</p> <p>13 plane; it undulates because it's decomposing.</p> <p>14 So when you are dealing with a situation as on the</p> <p>15 left-hand side, the groundwater level in a lot of these</p> <p>16 areas is quite high, and therefore to build very, very</p> <p>17 substantial basements was not something that was done.</p> <p>18 You try to avoid that as much as possible.</p> <p>19 As a consequence, you tend to put the building --</p> <p>20 perch it, and you would pile the foundations because</p> <p>21 there's no way you would found on that sort of material,</p> <p>22 because it's loose. In engineering terms, it's what we</p> <p>23 call under-consolidated; it hasn't been consolidated.</p> <p>24 So you would use piles, which are very rigid. You would</p> <p>25 put a pile cap and you'd do the same with the basement</p>	Page 88	<p>1 Now, that soil has already been dewatered, so during</p> <p>2 that process, if there had been any issue of</p> <p>3 consolidation, it would have taken place. I mean, this</p> <p>4 material is over-consolidated, in the sense that it's</p> <p>5 got a lot of load on it. It doesn't really want to go</p> <p>6 anywhere anyway. Taking the water out would have</p> <p>7 increased the effective stress to some extent, but not</p> <p>8 greatly.</p> <p>9 So the idea that there's going to be a great chasm</p> <p>10 forming underneath this is just -- you couldn't give it</p> <p>11 house room.</p> <p>12 So on the left-hand side I agree 100 per cent and</p> <p>13 I would give the highest level of caution. But what</p> <p>14 I worry about, and I've said this in my original</p> <p>15 hearing, it's the extrapolation of situations like you</p> <p>16 find on the left-hand side where it is absolutely</p> <p>17 correct to do that -- it's the extrapolation to</p> <p>18 everything else. It's this almost unthinking about</p> <p>19 these decision-making, "I did it here, I'm going to do</p> <p>20 it there and I'm going to do it there", without the</p> <p>21 standing back and saying, "What is the physics of what</p> <p>22 I'm dealing with?"</p> <p>23 So I hope that addresses this issue of voids under</p> <p>24 slabs and whatever, for this particular project.</p> <p>25 I don't want anything that I'm saying to be suggesting</p>

Page 89	<p>1 that there should be changes in codes or whatever. If</p> <p>2 I would make any plea at all, it is to engage a bit more</p> <p>3 thinking on some of these very, very peculiar and odd</p> <p>4 situations. This is not normal, what we have at</p> <p>5 Hung Hom, either in geometry or scale, and it should be</p> <p>6 looked at differently.</p> <p>7 Next slide, please. I think this one has gone away</p> <p>8 but it came up and I thought, "Oh God, I can see this</p> <p>9 one is going to run around the block a few times", so</p> <p>10 I just wanted to tell you what we've done.</p> <p>11 Dynamic behaviour was considered as part of the</p> <p>12 stage 3 assessments. We carried out dynamic analysis of</p> <p>13 the seismic loading, we actually put a sort of seismic</p> <p>14 input into bedrock and shook our structure about, and we</p> <p>15 found negligible resonance in anything. You can put</p> <p>16 this down to a number of factors and I won't go into</p> <p>17 another lecture on this, but the large mass and damping</p> <p>18 of the structure has a very large effect on that, and</p> <p>19 the idea that running trains would have any effect</p> <p>20 whatsoever is -- well, it's not even remote. It's just</p> <p>21 not a consideration, really. So fatigue is not an issue</p> <p>22 on this structure.</p> <p>23 Thank you. The next slide, please. Right. Now,</p> <p>24 this is the beginning of the presentation I intended to</p> <p>25 give. So I do apologise for the amount of time this is</p>	Page 91	<p>1 I will deal with them in that way.</p> <p>2 Next slide, please. Dealing with the generality and</p> <p>3 in fact was the focus of the Original Inquiry in January</p> <p>4 last year, the work that we have carried out in terms of</p> <p>5 the stage 3 analysis and the very extensive testing that</p> <p>6 MTR and others have carried out on couplers has given us</p> <p>7 a very large data set, running to nearly 200 individual</p> <p>8 samples which have been exposed during the stage 2</p> <p>9 opening-up works, which is a very large data set upon</p> <p>10 which one can analyse the levels of different engagement</p> <p>11 that were arrived at.</p> <p>12 Indeed, in my report, in annex 1, I give an analysis</p> <p>13 of those results which really -- not "really" -- it</p> <p>14 absolutely concludes that if you were considering</p> <p>15 a 32 millimetre engagement, that the failure rate would</p> <p>16 be no more than 12 per cent of the population. Or, if</p> <p>17 I was to put that in a more positive light, 88 per cent</p> <p>18 would pass. In other words, if you had 100 couplers</p> <p>19 that you had inspected and tested in terms of the PAUT</p> <p>20 test, 88 of that 100 would pass.</p> <p>21 So I don't want -- the problem is people talk about</p> <p>22 percentages and they talk about pass rates and fail</p> <p>23 rates and that's what the confusion is so I want to be</p> <p>24 totally unambiguous here: 88 per cent pass.</p> <p>25 On that basis, if you look at the stage 3 analysis,</p>
Page 90	<p>1 taking, but I thought it was important to go through</p> <p>2 those issues because they seemed to be hovering around.</p> <p>3 COMMISSIONER HANSFORD: It is very important. Thank you.</p> <p>4 A. Let's go to these three areas then. So we've got the</p> <p>5 three areas which I think have been well rehearsed now</p> <p>6 so I'll move on to the next slide, please.</p> <p>7 MR BOULDING: Sir, I hesitate to intervene, but if he's</p> <p>8 going on to the main part of his presentation -- I see</p> <p>9 it's about two or three minutes to 1.00 -- you may well</p> <p>10 think that this is an appropriate break.</p> <p>11 CHAIRMAN: It's a good cut-off point, I agree.</p> <p>12 Good. Thank you very much indeed. We will return</p> <p>13 at 2.30. Thank you.</p> <p>14 (12.55 pm)</p> <p>15 (The luncheon adjournment)</p> <p>16 (2.33 pm)</p> <p>17 CHAIRMAN: Yes.</p> <p>18 A. I'll pick up where I left off, which was the beginning</p> <p>19 of my original presentation, interestingly enough.</p> <p>20 I'd like to go back one slide, just to remind us, if</p> <p>21 that's all right. So these are the three areas that</p> <p>22 I will now address.</p> <p>23 Sorry, next slide. There are three issues related</p> <p>24 to the coupler connection. I say "three", it's being</p> <p>25 quite superficial but I grouped them under three and</p>	Page 92	<p>1 both from the Arup reports and more importantly from the</p> <p>2 Atkins reports -- because, after all, we must remind</p> <p>3 ourselves they are the designer of this works -- you</p> <p>4 will find that in no area do any of the areas reach</p> <p>5 anything like an 80 per cent level of requirement, and</p> <p>6 it struggles to get to 60 per cent. So, on the one</p> <p>7 hand, you've got a demand of 60 per cent; on the other</p> <p>8 hand, you've got a strength of 88 per cent. 88 per cent</p> <p>9 is larger than 60 per cent; ergo, okay.</p> <p>10 Interestingly enough, I think all four of the</p> <p>11 experts would agree on that, in the sense that from</p> <p>12 a pure strength analysis of the works, there is no issue</p> <p>13 in the generality of the coupler connections to the</p> <p>14 diaphragm walls.</p> <p>15 The next slide, please. The exception to that is</p> <p>16 the coupler connection that we've heard a lot about, in</p> <p>17 the EWL area A, where there is a different detail, as</p> <p>18 shown on the diagram. Not to beat around the bush, and</p> <p>19 I think you know me by now, I don't beat around the</p> <p>20 bush, I come direct to the point, this connection should</p> <p>21 be at least as good as any other connection on the</p> <p>22 works, if not better.</p> <p>23 Superficially, there is no reason to look at that</p> <p>24 detail and say, "Oh my goodness me, this is a disaster</p> <p>25 waiting to happen." In fact, the opposite is true.</p>

Page 93	<p>1 Indeed, when you read Dr Lau's report and if you were to</p> <p>2 refer I think it's to paragraph 53 -- forgive me if</p> <p>3 I haven't got that right -- and you read his</p> <p>4 introduction to that connection, you actually believe</p> <p>5 that he thinks this is a good detail; it's going to be</p> <p>6 better than the rest, and then suddenly he concludes</p> <p>7 with a conclusion that not that the butler did it but</p> <p>8 the maid did, which is quite illogical, but no matter.</p> <p>9 He's entitled to his opinion on that.</p> <p>10 But logically, if you look at the detail, you would</p> <p>11 expect it to be better, and the reasons for that are</p> <p>12 it's visible. Both sides of the connection are visible.</p> <p>13 It's an area where the reinforcement is not as</p> <p>14 congested. If I remind you, generally we have four</p> <p>15 layers of reinforcement, some of it 3 metres below the</p> <p>16 surface which is being inspected. This is all very</p> <p>17 visible, and the operator does have the opportunity of</p> <p>18 looking on both sides of the connection, which has been</p> <p>19 the subject of part of our discussion.</p> <p>20 So the alarm bells should be ringing. If someone</p> <p>21 then turns to you and says 68 per cent of these fail --</p> <p>22 I mean, you should stop. There's nothing wrong in</p> <p>23 saying that in your opinion it's 68 per cent failure,</p> <p>24 but you should then stop and ask yourself: does this</p> <p>25 actually make sense?</p>	Page 95	<p>1 recordings there. Four of them were discarded because</p> <p>2 there couldn't be a reading, a PAUT reading. Two of</p> <p>3 them were found to be unconnected, and the remaining</p> <p>4 five were found to be acceptable.</p> <p>5 So that's the basis upon the 68 per cent. If you go</p> <p>6 to the next slide, please, which is the purpose (i)</p> <p>7 data, which was not used in any of the statistical</p> <p>8 analysis, for reasons which I'm sure I'm going to get</p> <p>9 challenged on but as far as I'm concerned this is the</p> <p>10 additional data, it is random, it was not subjected to</p> <p>11 the, if I could say, theatre of the sampling that took</p> <p>12 place, which was more akin to a drug survey in terms of</p> <p>13 an engineering assessment. But this stuff was just</p> <p>14 never looked at, and for the life of me I don't</p> <p>15 understand why, because what you are looking at there</p> <p>16 is -- the ones which are yellow highlighted, I think</p> <p>17 there are 12 readings there, the top one was discarded</p> <p>18 because a reading couldn't be taken, so you are left</p> <p>19 with 11 valid results which were all in exactly the same</p> <p>20 area, area A, and indeed I think three of the samples</p> <p>21 were taken from exactly the same panel that offered up</p> <p>22 the failures on the earlier slide.</p> <p>23 If you look at the engagements, on all 11, they are</p> <p>24 all in excess, I believe -- I will get corrected by</p> <p>25 someone if I'm not right here -- of 41 millimetres So</p>
Page 94	<p>1 Now, I'm just an engineer, but one of the things</p> <p>2 that engineers have to do, they have to face up to</p> <p>3 problems which have got many facets to them, and in</p> <p>4 those situations you don't rely on one, single source of</p> <p>5 information. You seek data. Do you remember I talked</p> <p>6 about the unknowns being the weakness in any project?</p> <p>7 You put all your effort into understanding where the</p> <p>8 unknowns are and then really hammering home, getting the</p> <p>9 data that you need.</p> <p>10 Well, I don't have to look very far on this project</p> <p>11 to get that data, because the analysis that arrived at</p> <p>12 the 68 per cent, carried out in good faith, just used</p> <p>13 a small sample of data. Now, one of the problems with</p> <p>14 any statistical analysis is the amount of data that you</p> <p>15 use. If you get a small data set, whatever conclusion</p> <p>16 you arrive at has got a huge percentage probability or</p> <p>17 possibility that it's woefully wrong. So small data</p> <p>18 sets, alarm bells should be ringing very, very loud, and</p> <p>19 you shouldn't actually progress on that basis.</p> <p>20 On this project, if you turn to -- I think it should</p> <p>21 be the next slide, actually; can you turn on one more?</p> <p>22 Yes. We'll come back. This is the data set upon that</p> <p>23 68 per cent was agreed. This is at the back of my</p> <p>24 report in annex 2. This is what's called the</p> <p>25 purpose (ii) data that was arrived at, and there are 11</p>	Page 96	<p>1 these aren't borderline cases. These are nowhere near</p> <p>2 the 37.</p> <p>3 So on the one hand we have a data set that is</p> <p>4 reported to have seven readings of which two fail or</p> <p>5 five pass, and the same area, we have 11 samples all</p> <p>6 pass by a very large margin, but they are not taken into</p> <p>7 account in the analysis. I can't tell you why. It's</p> <p>8 beyond me.</p> <p>9 But if I can go back to the slide -- I do</p> <p>10 apologise -- that one, that's it. So that's really why</p> <p>11 I'm saying that on the available data and the judgment</p> <p>12 really of three of the experts of 32 millimetres being</p> <p>13 strong enough -- if you go to the next slide, please,</p> <p>14 and the one after that; that's it -- then you arrive at</p> <p>15 the only conclusion I can, which is -- the failure rate</p> <p>16 that I arrive at is 23 per cent, not 68 per cent, and</p> <p>17 I would go as far as to say, by using the same</p> <p>18 methodology, I think Dr Wells would have arrived at</p> <p>19 a better answer than mine -- a better answer, I wouldn't</p> <p>20 say by very much but of the same order -- and indeed if</p> <p>21 I used the formula, the magic formula, which is in the</p> <p>22 MTR holistic report, which has been very maligned, I get</p> <p>23 a very similar answer.</p> <p>24 So the conclusion I come to, which is the one that</p> <p>25 I would have expected by just observation and common</p>



Page 97	<p>1 sense, that actually that coupled connection in area A</p> <p>2 is no worse than anywhere else in the construction, and</p> <p>3 it goes back to I think an observation that you made,</p> <p>4 Mr Chairman, earlier on, that we are dealing with</p> <p>5 a mechanical operation. It's a coupler, it's a bar,</p> <p>6 it's a team of men actually trying to connect something</p> <p>7 into it, and they repeat this operation many, many</p> <p>8 times, and there is a statistical probability of the</p> <p>9 level of workmanship they will achieve. It's not rocket</p> <p>10 science. You would expect it to be consistent. And</p> <p>11 there's nothing radically different between any coupled</p> <p>12 connection in these locations across the project.</p> <p>13 That's really why -- and it was interesting that,</p> <p>14 thinking back to it, Prof Yin did not make a judgment as</p> <p>15 to whether EWL or NSL was a different data set. He</p> <p>16 reported that he was told that, whereas Dr Wells has</p> <p>17 always believed that they were the same data.</p> <p>18 So all I'm saying is you have to look for data, you</p> <p>19 have to challenge data, and very often common sense is</p> <p>20 the best lead, and what I would call -- one of my</p> <p>21 colleagues referred to it as a reality check, and all</p> <p>22 I've done is carry out a reality check.</p> <p>23 I think I have nothing more to say on that,</p> <p>24 actually. I think if we move on to the next subject, if</p> <p>25 that's all right with you.</p>	Page 99	<p>1 raises, I say, a genuine concern because he says it with</p> <p>2 such emotion. He's not trying to create a bear pit;</p> <p>3 I think he's genuinely concerned about this. The first</p> <p>4 thing I've got to make clear to you is: this has never</p> <p>5 been a strength test and, to the best of my knowledge</p> <p>6 and belief, it has traditionally been considered to be</p> <p>7 a quality control test of the product.</p> <p>8 What reinforces my view on that was the CARES</p> <p>9 certificate that Dr Lau showed in his presentation</p> <p>10 yesterday, because CARES is a not-for-profit</p> <p>11 organisation that, if you like, it's like an Agreement</p> <p>12 Board for products, reinforced concrete products. It's</p> <p>13 not involved in the actual application of those</p> <p>14 materials; it really is mostly focused on reinforcement,</p> <p>15 bars themselves, in terms of their classification and</p> <p>16 specification, and because couplers are involved in</p> <p>17 that, they have included that in their certification.</p> <p>18 But they are not condoning something in the field.</p> <p>19 They are just condoning the product. So, again, I'm not</p> <p>20 taking anything away from Dr Lau's concerns. I'm just</p> <p>21 saying that's what it has traditionally been seen to be,</p> <p>22 point 1.</p> <p>23 COMMISSIONER HANSFORD: When you refer, Dr Glover, to</p> <p>24 an Agreement Board type organisation, not everyone here</p> <p>25 will know what that means, I'm sure. It's</p>
Page 98	<p>1 CHAIRMAN: Yes.</p> <p>2 A. If we then move on to the next subject. Oh, yes, I'm</p> <p>3 sorry. I was saying about the level of requirement.</p> <p>4 So, on the one hand, we have an acceptance level or</p> <p>5 a failure rate of 23 per cent, or let's call it</p> <p>6 an acceptance rate of 77 per cent, at no location in</p> <p>7 area A do you have such a situation, and this slide, if</p> <p>8 you look at the very end column, albeit with</p> <p>9 a 30 per cent magic redistribution, you notice it</p> <p>10 struggles on the first slide to get to 50 per cent. In</p> <p>11 fact, I don't think it does. Then, on the second slide,</p> <p>12 if you look at this column here (indicating), you will</p> <p>13 see that the highest figures are about 60 -- yes, there</p> <p>14 we are, 62. But generally they struggle to get to</p> <p>15 50 per cent.</p> <p>16 So, from a fitness for purpose basis, specific to</p> <p>17 this project -- I'm not extrapolating this anywhere</p> <p>18 else -- I'm saying that you can see that is the reasons</p> <p>19 why I believe the structure, particularly area A, is</p> <p>20 safe and fit for purpose. It's not in my terms a risk.</p> <p>21 If you were to apply compliance standards to it, well,</p> <p>22 that's a different set of criteria and I'm not going</p> <p>23 there.</p> <p>24 Next slide. Thank you very much. Now, yes, right,</p> <p>25 the relevance of the permanent elongation test. Dr Lau</p>	Page 100	<p>1 an independent quality organisation; is that right?</p> <p>2 A. Yes, that's right.</p> <p>3 COMMISSIONER HANSFORD: I am aware of the British Board of</p> <p>4 Agreement, but I think it's a bit of an unusual --</p> <p>5 A. This is a different thing. You could almost say it's</p> <p>6 set up by the manufacturers themselves. But actually</p> <p>7 I've had very good dealings with CARES. They do act</p> <p>8 very independently in these issues. But they are, as</p> <p>9 you say, looking after the product, not after the</p> <p>10 downstream application of the product.</p> <p>11 COMMISSIONER HANSFORD: Yes.</p> <p>12 A. The other thing I would say, and I haven't put it in</p> <p>13 this statement, but just to try to put things in</p> <p>14 perspective, point 1 is not used universally. In fact,</p> <p>15 I've found it difficult to find where it actually began</p> <p>16 but I think it began in a DIN Standard, probably many</p> <p>17 decades above and it just got adopted, but in the</p> <p>18 States, for example, they would be using, I think --</p> <p>19 Canada and the States, they are using more like 0.25 as</p> <p>20 an acceptance criteria. Same test. Because don't</p> <p>21 forget that the standard by which these are tested,</p> <p>22 which is AC133, which is an American standard, is used</p> <p>23 by them all. But they set their -- sorry, AC133 does</p> <p>24 not set a standard. It does not set 0.1. It just says,</p> <p>25 "If you are going to carry out this test, you do it in</p>

Page 101	Page 103
<p>1 this way", but the authority, the approving authority or                  2 whatever you want to call it, sets its own standards.                  3 In this case, Hong Kong is 0.1. If you were in Ontario,                  4 I think it would be 0.25.                  5 The other thing is, the other authorities recognise                  6 that it's not one standard fits all. They recognise,                  7 quite correctly -- in fact, some experiments were done                  8 at HKU I think many years ago which demonstrated the                  9 number has to go up when the bar size goes up. If you                  10 think about it, it's the proportion between the area of                  11 something and the perimeter of something else, and they                  12 can't be proportional, by definition, you know. So                  13 smaller bars you would expect to get a lower value than                  14 bigger bars. So the bigger the bar, the bigger the                  15 movement. But 0.1 applies to everything.                  16 It's again one of these situations that you find                  17 yourself in where one size fits all. Anyway, sir,                  18 I slightly diverted my thing, but I thought as                  19 background that might help you. I think I have alluded                  20 to that in the past.                  21 Now, Dr Lau extrapolates, and I do apologise for                  22 using the word "extrapolates" but he does, and he does                  23 it speculatively, in the sense that you take a bar and                  24 a coupler and another bar and you pull them apart, and                  25 you then extrapolate what you've observed there, in his</p>	<p>1 please. My reason for saying this is speculative is the                  2 first thing, and one of the things that Dr Lau says                  3 which I agree with 100 per cent is there should be more                  4 work in this partial engagement issue, and when I say                  5 "more work", more experimentation, more on-site                  6 observation. On-site observation is fundamental in                  7 these things, and I would agree with that. The                  8 manufacturers don't want to go there. I can understand                  9 that. But I can see, with the sheer volume of couplers                  10 that are used in the industry, it would be to the                  11 benefit of the manufacturers if they cleared this issue                  12 up, because I can see it returning.                  13 For Hung Hom, I've got to emphasise again, all my                  14 observations are only on Hung Hom. I would not want                  15 them -- in fact, not "want them" -- I would say they                  16 should not be extrapolated to any other situation. I'm                  17 just looking at Hung Hom.                  18 But the magic thing is, the project that we've got                  19 out there at the moment is the most fantastic load test                  20 I have ever seen in my life, in the sense that the                  21 structure is already subjected to 90 per cent of the                  22 load that it will ever sensibly see.                  23 So, if you were going to get cracks, you would have                  24 them now.                  25 CHAIRMAN: What is said, of course, by Dr Lau is that there</p>
Page 102	Page 104
<p>1 case he takes an extreme value, and then he says,                  2 "That's going to happen over here", and the "over here"                  3 is the massive structure of the Hung Hom slabs, where                  4 you haven't just got one bar, you've got whole                  5 collections of bars. The great majority are perfectly                  6 sound, pass all the tests, even the elongation test.                  7 So this rogue bar is part of this wider family, and                  8 so therefore that rogue bar will not dictate what the                  9 performance of the structure will be. It's the sound                  10 bars that do. We use a phrase called strain                  11 compatibility, which means that if you apply a force to                  12 something, all the elements in it have to strain to the                  13 same extent, and the amount of strain you put in any one                  14 of the elements is the amount of load that that one                  15 takes, so the load gets spread.                  16 So you might get a rogue bar. I wouldn't argue with                  17 that. You might get a couple of rogue bars. But                  18 clustered around it is this vast family which is going                  19 to say, "I'll look after you, little brother, I'll take                  20 the load", and that's why I say it's a speculative                  21 extrapolation. It's taking the biggest number you                  22 possibly can think about and then putting it in the most                  23 extreme situation, and it really confuses. It's not                  24 correct.                  25 I think I'd better move on to the next slide,</p>	<p>1 may be cracks but you don't see them now.                  2 A. Why wouldn't you see them now? I mean, are they hiding                  3 around the corner? Are they going to pop out?                  4 COMMISSIONER HANSFORD: I think his argument was they are                  5 hidden inside the concrete.                  6 A. Well, there would be cracks, potentially, inside the                  7 concrete, but they wouldn't be due to these issues,                  8 which are due to surface strains. You would get                  9 something called a shear crack which is actually within                  10 the body of the structure, it never goes anywhere else,                  11 and in fact there's a slide I will show later which                  12 describes shear cracks. It's all to do with -- in crude                  13 terms, it's like a Poisson's ratio effect. In other                  14 words, if you push something, it tries to squeeze out,                  15 so if you imagine something which is in very heavy                  16 compression, it wants to burst out, it wants to spread,                  17 and so you get what we call complementary tensions, so                  18 you get this compression strut and you get these                  19 complementary -- that has come apart. That's called                  20 a shear crack. But that doesn't find its way to the                  21 surface and it certainly isn't a source for corrosion,                  22 because it's within the body of the slab.                  23 When people talk about cracking, you've got to be                  24 very precise about what sort of cracking and the cause                  25 of that cracking. But the idea that there's a crack in</p>

Page 105

1 there that's hiding around the corner, waiting to pop  
 2 out when you are not looking -- I mean ...  
 3 CHAIRMAN: And of course, when you talk about corrosion,  
 4 that's the other issue. If it's internal, it's not open  
 5 to the air and to the elements in any way so it doesn't  
 6 corrode?  
 7 A. Exactly. Sir, you understand exactly. You need three  
 8 constituents for corrosion. You need iron or steel, you  
 9 need an electrolyte, in this case water, and you need  
 10 oxygen. So if you were to put some water -- let's say  
 11 water managed to get into a small cavity, it's got  
 12 oxygen, it's next to steel, and it's certainly got  
 13 water. Once that oxygen has been exhausted, nothing  
 14 happens, and this is true -- and I think interestingly  
 15 enough in zone -- category 1 exposure, I think you will  
 16 see there's a line there which says, "Structures  
 17 immersed in water". Well, that's because there is no  
 18 fresh supply of oxygen. You've got plenty of metal,  
 19 you've got plenty of water; no oxygen.  
 20 So the idea that you've got water somewhere doesn't  
 21 mean to say you get corrosion. You need a constant  
 22 supply of that water, oxygenated water. If you don't  
 23 have the oxygen, you don't get corrosion. I only wish  
 24 people could understand those basic principles better  
 25 because then there would be less concern, I think, in

Page 106

1 our world, on this issue of durability.  
 2 Believe me, I'm not making light of durability. I'm  
 3 just trying to explain why I believe, in this particular  
 4 situation, those concerns are not correct.  
 5 The other thing I would add is we have carried out  
 6 very extensive demolitions in the structure. I mean,  
 7 it's a very forgiving structure, fortunately, but all  
 8 that vibration that's taken place, if there were they  
 9 cracks hiding, waiting to break out, the vibration would  
 10 have certainly brought them to our visibility, and they  
 11 would do that for two reasons. One of them, they would  
 12 have caused agitation of the crack, which would not have  
 13 been visible to the naked eye, potentially, but the  
 14 other thing is once a crack opens up and it gets dust in  
 15 it, it becomes very visible, and we haven't seen any of  
 16 that.  
 17 The second point -- I think Mr Southward made this  
 18 point and I agree with all of his observations -- is the  
 19 environment that we're dealing with in the location of  
 20 the couplers is a benign environment. You can pick  
 21 other locations, potentially, in the box where it is not  
 22 benign, but not the inside of it, not the position where  
 23 the couplers are. So I would agree with Mr Southward.  
 24 The last point is the one I've already made: the  
 25 connections occur, the couplers occur, in very large

Page 107

1 clusters, and we are not saying each one of those  
 2 clusters is all non-conforming.  
 3 So those are the reasons why I understand the  
 4 concern but I do not agree with it, for the reasons I've  
 5 given.  
 6 Next slide, please. The trough walls. Here --  
 7 what's my concern? I've been involved in impacts -- and  
 8 that's what this is, this is an impact loading; this is  
 9 not a point load at the end of a cantilever, as the  
 10 modelling shows, this is an impact, it's an energy  
 11 thing, it's to do with impulse, it's to do with energy  
 12 absorption, and that's why I said the yield line  
 13 approach is an appropriate approach, because it's  
 14 an approach which assumes things are deforming and  
 15 plastic energy.  
 16 COMMISSIONER HANSFORD: This is the case of a derailed  
 17 train.  
 18 A. A derailed train, yes, agree. I can say I don't agree  
 19 with the force, to start with, because dealing with  
 20 high-speed trains, as I've had to, and derailments, the  
 21 idea you get this massive lateral load horizontally is  
 22 not there. The reason -- and these are almost like  
 23 derailment kerbs, you will appreciate that, and the  
 24 train comes off and it glides along. It's not this  
 25 sudden punch that you see in -- I wouldn't have

Page 108

1 approached this particular problem. If this was  
 2 an issue, this is not the way to deal with it. I think  
 3 in terms of resolving it, the structure is very  
 4 substantial, and what amazes me, the earth backfill is  
 5 not taken into account, nor, in fact -- if you are doing  
 6 a dynamics problem, you don't say there's a piece of  
 7 concrete there but it's not considered by the  
 8 authorities to be structural, therefore I'm going to  
 9 leave it out, or the soil might not be there. Those  
 10 things don't enter into my thinking. That's what's  
 11 there, that's what's being constructed, it's not going  
 12 to change. I've got this impact load. How will it be  
 13 absorbed?  
 14 It will be absorbed in three ways. Number one, the  
 15 earth is a very, very good absorber. The slab itself  
 16 will absorb energy and gradually go plastic. And  
 17 thirdly, this oversite concrete at the top -- which  
 18 interestingly enough is also connected to the columns,  
 19 so if we were so worried about the columns, why do we  
 20 have the oversite concrete cast around the columns? Why  
 21 isn't there a gap? So I can't take the risk seriously,  
 22 to be honest. As far as the mathematics are concerned,  
 23 I've told you what I think. I wouldn't have approached  
 24 it this way, but if you had approached it in the way  
 25 that I would have done conventionally for a derailed

Page 109	Page 111
<p>1 train, there certainly wouldn't be an issue. I'd just                  2 like to leave it at that. I don't agree with the                  3 35 per cent anyway, which I could go into.                  4 I'm not giving you the sort of focused response you                  5 would like from me, I think, on this issue. I'm just                  6 saying I don't see that there is a major issue here.                  7 I can understand we don't want to knock columns down                  8 with a big building above, but we've overstated the                  9 problem.                  10 Could I go to the next slide, please. This is the                  11 conclusion, really, on couplers. As far as I can see,                  12 all the coupler connections have been shown to be                  13 adequate and the structure is safe. It is incorrect to                  14 assume on the basis of the results of the elongation                  15 tests that cracking will occur, for the reasons I have                  16 already explained.                  17 Interestingly, I was reflecting on this when I was                  18 getting this presentation together, I think what gets                  19 lost is how do you deal with cracks on the site?                  20 Because you get cracks and some of them are larger than                  21 you would like them to be, particularly on bridges, for                  22 example. We don't put them on the safety list. We put                  23 them on the rectification list.                  24 So really the cracking comes under the same heading                  25 as honeycombing, in the sense that it is something we</p>	<p>1 point. The point, I believe, is in these limited areas,                  2 is it fit for purpose, is it safe? That's the question.                  3 So rather than getting into that discussion as to                  4 what might have happened in area B or area C which is                  5 irrelevant, let's just focus on the area we are                  6 interested in, which is area A.                  7 I would emphasise, actually, that the approach which                  8 is being adopted in assessing the shear strength is one                  9 of compliance, the reference to the code, saying the                  10 code says this is the permissible stress for the                  11 concrete, therefore this must be the answer, and if it's                  12 not that, it must be unsafe. That's not correct. It                  13 can't be correct from a commonsense point of view. From                  14 a compliance point of view, it's absolutely correct.                  15 But I'm not looking at it from that point of view.                  16 If I move on to the next slide, I hope that the                  17 following three points will help demonstrate that there                  18 is, from a safety point of view, no concern. I say that                  19 you can address the problem from a safety and a fitness                  20 for purpose criteria by considering any one of these                  21 three, either separately or collectively. You can say,                  22 "Well, actually, it's not reasonable to assume there's                  23 no reinforcement there", because the exceedance of                  24 stress that we are talking about is very small. We are                  25 talking about -- I do apologise, I haven't got the</p>
Page 110	Page 112
<p>1 don't want to be there. I mean normal cracking, okay,                  2 but if there's excessive cracking, you repair it, and                  3 you'd approach it in exactly the same way as                  4 honeycombing.                  5 The unfortunate thing, or fortunate thing from my                  6 point of view, is we can't observe any cracks to repair,                  7 and there isn't this massive load like a herd of                  8 elephants being let loose in the station which is going                  9 to create it, because the train loading actually is                  10 pretty small and runs almost on top of the diaphragm                  11 wall anyway, so you are not getting this loading coming                  12 from the span increasing the bending moments.                  13 Then the last point I've just made, basically, with                  14 the trough walls, I think it's a lot of fuss about                  15 nothing, to be honest, but if we could move on on that.                  16 Next slide, please. Now the shear link                  17 reinforcement. Yes, I mean, I agree with all the                  18 observations that have been made about the shear link                  19 reinforcement, in terms of numbers of bars, anchorage of                  20 bars, spacing of bars, whether they are there or they                  21 are not there. But the fact is the structure has been                  22 so robustly designed that there's very few areas that                  23 actually require shear links anyway. So rather than                  24 debate whether the actual details in the generality of                  25 a construction are there or not, it really isn't the</p>	<p>1 number in front of me -- but it's no more than about                  2 10 or 15 per cent more than the code would allow. It's                  3 not, "My goodness me, it's double or triple." No, it's                  4 quite a small judgment.                  5 So if there was just a nominal allowance for the                  6 shear reinforcement, the problem would just go away, and                  7 indeed the areas other than in the SAT are not huge.                  8 So that's one which you could solve it which I think                  9 on the basis of the photographs that Mr Southward shows,                  10 they are quite compelling. Those are areas which were                  11 reported not to have any links. But what you would                  12 obviously have to do is you would actually have to look                  13 at the source of those photographs and make sure that                  14 they did represent what they were meant to represent,                  15 but that's by the way.                  16 Moving on to the second point, and I think this is                  17 really the crux of the issue as far as I'm concerned in                  18 terms of why I think it's okay. I took you to this                  19 issue of design strength and actual strength, aging                  20 factors, et cetera, and in my opinion I see no reason                  21 why an enhanced concrete strength should not be                  22 considered in those areas, and indeed, if you did that,                  23 I think you will find that the problem goes away,                  24 particularly in the SAT area.                  25 Then the last one is my points this morning about</p>

Page 113	Page 115
<p>1 cavities suddenly appearing under slabs 18 metres</p> <p>2 underground with 16 metres of water plus acting on them,</p> <p>3 which have already been dewatered during their life.</p> <p>4 I don't think that's credible, and if the slab doesn't</p> <p>5 have a cavity, then you don't get the shear stress and</p> <p>6 whatever.</p> <p>7 The other thing is a lot of the models that have</p> <p>8 been used on the project are what I would call</p> <p>9 two-dimensional models, they are just slices through the</p> <p>10 structure, and as Mr Southward pointed out there are</p> <p>11 three dimensions to a structure, and if you isolate it</p> <p>12 to -- let's assume this is the bottom slab of many slabs</p> <p>13 but the other slabs are all connected by walls. If you</p> <p>14 just analyse this one in isolation, you've lost the sort</p> <p>15 of the gathering effect, the sharing effect of the</p> <p>16 others, and I believe the analysis that was carried out</p> <p>17 was indeed only a two-dimensional analysis.</p> <p>18 So I would add then to that third one, when I say</p> <p>19 "sensibly conservative", in other words I do not want</p> <p>20 models which are not conservative but I want models</p> <p>21 which represent physically what is there, and that would</p> <p>22 mean three dimensions and soil underneath, particularly</p> <p>23 water pressure.</p> <p>24 So that's my opinion on the shear links. I think it</p> <p>25 is safe and it is fit for its purpose.</p>	<p>1 which is the 32mm drill, you would have no idea?</p> <p>2 A. Correct, but the tolerance on that is you've drilled</p> <p>3 a hole which is basically 16 millimetres in diameter,</p> <p>4 and because of its percussive nature it's going to be</p> <p>5 slightly larger. You are using that as the centre for</p> <p>6 your 32 -- the risk of you hitting anything important is</p> <p>7 much reduced.</p> <p>8 COMMISSIONER HANSFORD: Okay. Thank you.</p> <p>9 A. Whether you should do it is a different thing.</p> <p>10 The next slide, please. I said I would do this in</p> <p>11 two parts. I call this a new issue because this came</p> <p>12 out of nowhere, as far as I was concerned, in the</p> <p>13 hearing, and that was any question at all about the</p> <p>14 diaphragm wall which was raised. So, if you forgive me,</p> <p>15 I've done a little bit more analysis on the joint so</p> <p>16 that we can hopefully put this one to bed as well.</p> <p>17 In the following slides -- I'm going to use some</p> <p>18 slides which are in my reports, previous reports, about</p> <p>19 the stress regime in the joint, but then I'll hit, in</p> <p>20 the last slide, this issue of the cracking that Dr Lau</p> <p>21 brought up which I found quite disturbing, really,</p> <p>22 because I think it was misleading, but I want to bring</p> <p>23 it back into focus.</p> <p>24 So if we could just take each of the bullet points</p> <p>25 in turn. The actual failure mechanism of the</p>
Page 114	Page 116
<p>1 The next slide, please. I want to deal with this</p> <p>2 one in two parts, to deal with the issue of the</p> <p>3 horizontal construction joint which we refer to in the</p> <p>4 shorthand as the CJ. There is no doubt, and</p> <p>5 interestingly enough Dr Lau also supported the view that</p> <p>6 this is a workmanship issue, it's not an issue of safety</p> <p>7 or fitness for purpose. The other thing is that the</p> <p>8 contractor, MTR, the designer and also the approval</p> <p>9 authority have all agreed that a nominal dowel detail</p> <p>10 will satisfy and will solve the workmanship problem.</p> <p>11 With that army of people willing to do the works and to</p> <p>12 solve the problem, I really find it very difficult to</p> <p>13 make a comment, particularly since everybody has put so</p> <p>14 much effort into the work, into the method statement in</p> <p>15 terms of its construction.</p> <p>16 The one thing I would draw Dr Lau's attention to is</p> <p>17 that although the pilot holes which are being drilled do</p> <p>18 use a normal what I would call masonry drill, the actual</p> <p>19 core is diamond-cut, and you wouldn't know that you were</p> <p>20 going through the rebar. That's a big difference.</p> <p>21 COMMISSIONER HANSFORD: So what you are telling us there is</p> <p>22 that whilst you would get a clear indication you had hit</p> <p>23 reinforcement from the pilot drills --</p> <p>24 A. Yes, correct, yes.</p> <p>25 COMMISSIONER HANSFORD: -- once you got into the core drill</p>	<p>1 construction is 10 meganewtons, if that means anything</p> <p>2 to you, but actually the ultimate strength that we would</p> <p>3 be looking from it is much less than that; it's only</p> <p>4 seven. So the actual arrangement of the diaphragm wall,</p> <p>5 even though the diaphragm wall is the weakest part of it</p> <p>6 all, it still has adequate, oodles of strength to it.</p> <p>7 The second thing to point out is that even at</p> <p>8 failure, even when the diaphragm wall is buckling and</p> <p>9 collapsing, there is virtually no stress at all at the</p> <p>10 CJ.</p> <p>11 Then the last point is the cracking and I'll come on</p> <p>12 to that. Go to the next slide, please. This is the</p> <p>13 scrappy calculation I referred to in our first hearing,</p> <p>14 Prof Hansford, where I said this is how I think it's</p> <p>15 going to fail.</p> <p>16 COMMISSIONER HANSFORD: Yes, I recall.</p> <p>17 A. If we go to the next slide, that's in fact what happens.</p> <p>18 You get a compressive flexural failure at the junction</p> <p>19 between the soffit of the EWL slab and the diaphragm</p> <p>20 wall, that large green area, and you can also see --</p> <p>21 COMMISSIONER HANSFORD: Perhaps -- sorry to interrupt -- for</p> <p>22 the benefit of the chairman in particular, you could</p> <p>23 just explain what these colours all mean?</p> <p>24 A. Yes, of course. The colour code is this (indicating).</p> <p>25 Blue is very, very low stress and, as the colours move</p>

Page 117	Page 119
<p>1 towards red, it gets higher and higher. So when you</p> <p>2 look at the area around that joint there, which is --</p> <p>3 this is the EWL slab and this is the diaphragm wall, you</p> <p>4 can see you get that compressive flexural failure at</p> <p>5 that point. Then the thing to point out is you get this</p> <p>6 very strong compression strut running diagonally from</p> <p>7 that point to that point (indicating), and that's</p> <p>8 where -- can you go back slightly, please. I pressed</p> <p>9 the wrong button, I think. That's it, thank you. Which</p> <p>10 is exactly how we would expect it to happen.</p> <p>11 Does that help you, Professor?</p> <p>12 COMMISSIONER HANSFORD: I was okay with it, but I felt the</p> <p>13 chairman might need some help.</p> <p>14 CHAIRMAN: It certainly does. Thank you.</p> <p>15 A. It is that compression strut which is the fundamental</p> <p>16 way in which the structure performs.</p> <p>17 Next slide, please. Looking at the top of that</p> <p>18 joint, this (indicating) is where the construction joint</p> <p>19 is, there (indicating), and you can see the stresses are</p> <p>20 all concentrated below the joint, at this corner</p> <p>21 (indicating), and that's because this structure works</p> <p>22 because of these bars, and those bars are acting like</p> <p>23 dowels. You can see the stress concentration here, in</p> <p>24 the centre, where the hand is, and you can see there's</p> <p>25 hardly any stress in the concrete there, and this is</p>	<p>1 I'm just the honest engineer that does the analysis and</p> <p>2 gives other people bad news, I guess, in some respects.</p> <p>3 This is entirely predictable, the dowel action is</p> <p>4 exactly as we predicted. We did lots of hand</p> <p>5 calculations to demonstrate this, but that was not good</p> <p>6 enough for some people. So we've gone the whole mile</p> <p>7 and done the non-linear finite element using some of the</p> <p>8 best code we can in the world.</p> <p>9 So the stress levels, and that's at failure, so this</p> <p>10 is already something like 50 per cent higher than the</p> <p>11 ultimate tensile stress. The stress levels, if I go to</p> <p>12 the next slide; thank you very much -- this is what the</p> <p>13 stress looked like at the time of the ultimate tensile</p> <p>14 stress. This is when the structure should be falling</p> <p>15 apart. Again you can see the stress levels are</p> <p>16 remarkably low at the CJ. All the action is happening</p> <p>17 down at the bottom, with the diaphragm wall.</p> <p>18 The last slide, and this is the penultimate slide --</p> <p>19 we can look forward to having a bit of a rest, I think,</p> <p>20 after this -- what we've done overnight, we have</p> <p>21 assembled three sections through that joint that you've</p> <p>22 been looking at, and we've considered them for different</p> <p>23 levels of applied loading. Remember that the failure</p> <p>24 load that we would be looking at -- you see we've got --</p> <p>25 the largest one is 6 there -- we would be going up to</p>
Page 118	Page 120
<p>1 a thrust line which is pushing on the bars and then</p> <p>2 resisted by the top of the diaphragm wall below the</p> <p>3 construction joint. Construction joint does absolutely</p> <p>4 nothing.</p> <p>5 COMMISSIONER HANSFORD: Perhaps before we leave this slide</p> <p>6 or you might tell me it's better to come to it in</p> <p>7 a later slide, the dowels that are going to be inserted</p> <p>8 as part of the special measures, what will they do to</p> <p>9 that?</p> <p>10 A. Well, they will increase the number of dowels. I mean,</p> <p>11 there's going to be one here (indicating).</p> <p>12 COMMISSIONER HANSFORD: But what will they do to the stress</p> <p>13 levels?</p> <p>14 A. Not very much, because they only represent something</p> <p>15 like 1 per cent of the total dowels which are already</p> <p>16 there, but if people are happy with it, I'm not ...</p> <p>17 COMMISSIONER HANSFORD: Okay. Thank you.</p> <p>18 A. It's not -- as I say, I'm telling you the structure as</p> <p>19 it is is safe and fit for its purpose. What other</p> <p>20 people want to do for other reasons is entirely up to</p> <p>21 them.</p> <p>22 COMMISSIONER HANSFORD: It's not something to die in a ditch</p> <p>23 for.</p> <p>24 A. I would rather not die in any ditch, but particularly on</p> <p>25 this one. I think I've said my piece in the past and</p>	<p>1 about just under 10.</p> <p>2 I'm not showing you the full thing. I'm just</p> <p>3 showing you three situations which are pretty pertinent.</p> <p>4 The first one is one of the lower loaded pieces of</p> <p>5 the structure, as it is today, and we would expect to</p> <p>6 see some minor cracking at -- there's some minor</p> <p>7 cracking at this joint, which should be entirely where</p> <p>8 you would expect, because this is where the high</p> <p>9 stresses are, at that intersection, but nothing to be</p> <p>10 concerned about. I think we've shown on the code what</p> <p>11 the crack widths type of things that -- yes, I mean it's</p> <p>12 0.1mm, that sort of size, very nominal. And you've got</p> <p>13 to remember, when we show one crack on here, it's</p> <p>14 because it's magnified. In fact what will generally</p> <p>15 happen, because this is reinforcement, because the</p> <p>16 modelling can't model right down to a single fraction of</p> <p>17 a millimetre, so that one crack probably represents</p> <p>18 a cluster of three or four, all smaller than that, but</p> <p>19 just locally to that area. Because something that</p> <p>20 people don't understand: reinforced concrete only works</p> <p>21 when it cracks. It might come as a surprise to people,</p> <p>22 but the only way that you can mobilise the stress in the</p> <p>23 bar is if the concrete cracks and grabs hold of it as it</p> <p>24 moves apart. So cracks in reinforced concrete are</p> <p>25 exactly what you would expect.</p>

Page 121

1 What you want to avoid is having excessive cracks in  
 2 the wrong environment. Excessive cracks can be  
 3 acceptable from an engineering viewpoint, as long as  
 4 they are in a benign environment and they don't cause  
 5 visual distress, because one of the fitness for purpose  
 6 criteria that Dr Lau didn't include, interestingly  
 7 enough, although it's a very comprehensive list, was  
 8 aesthetics, and actually one of the key considerations  
 9 in structures is that actually, when you look at it, you  
 10 mustn't feel uncomfortable, and if you saw a large crack  
 11 in the wrong place, you would feel uncomfortable. But  
 12 if it's not in a position which causes you distress,  
 13 then cracks can be much wider than 0.3 millimetres and  
 14 not be of any structural significance whatsoever; all  
 15 right?  
 16 If we just go across to -- sorry, I've pressed the  
 17 wrong slide again -- the middle one represents  
 18 a situation after SLS. Remember serviceability limit  
 19 state? And this represents a situation of stress which  
 20 is in excess of what the structure is enduring now or  
 21 indeed is in excess of what it would endure later. You  
 22 can see the clustering of cracks, as you would expect,  
 23 is spreading a little bit further, but again nothing to  
 24 be alarmed about in that sense, and remember my comment  
 25 earlier: one crack here really should be read as

Page 122

1 a cluster of cracks, all smaller.  
 2 Then the last one I've shown there, the slide there,  
 3 this one (indicating), this is ULS. This is when the  
 4 whole structure should have fallen down and collapsed,  
 5 and again you can see the degree of cracking is nothing  
 6 to be unexpected, and this is ultimate limit state. The  
 7 only ones that you should bear any credence to are this  
 8 one and this one (indicating), and there's no case to  
 9 answer.  
 10 The other thing I would point out, in those first  
 11 two slides, is that the construction joint is up here  
 12 (indicating). There's no cracking. I mean, there's no  
 13 water. Where's the water going to -- how is it going to  
 14 get in there? So I say to you, even when you get to the  
 15 ULS, where is it coming from?  
 16 The other thing is you've got to remember that the  
 17 EWL slab is at a level of 4mPD. In other words, it's  
 18 4 metres above ordnance datum, let's call it sea level,  
 19 and the groundwater level outside at around about 1. So  
 20 the groundwater is almost at the bottom of the slab.  
 21 It's nowhere near the joint at all.  
 22 COMMISSIONER HANSFORD: Just to be clear, the dowel bars  
 23 that are going to be inserted as part of the simple  
 24 measures will make no difference to this; is that  
 25 correct?

Page 123

1 A. No, not at all. I mean, it's -- no. I wouldn't even  
 2 bother to model it. It's of no consequence.  
 3 COMMISSIONER HANSFORD: Okay.  
 4 A. But it's not being inserted for reasons of structural  
 5 integrity, I understand. I mean, I'll leave that for  
 6 others to address.  
 7 My position is very straightforward. It's the  
 8 structure is safe and it's fit for its purpose, as it is  
 9 today, and if others wish to do something to it for  
 10 other reasons, for compliance or whatever, then it's not  
 11 for me to say that. I've been given or given sight of  
 12 a very reasonable method statement. I think reasonable  
 13 measures have been taken to avoid some of the things  
 14 that I was concerned about. So, to be quite honest, I'm  
 15 not going to ask my neighbour to stop playing football  
 16 if it's not interfering with me. That's up to them and  
 17 it's outside of my brief.  
 18 COMMISSIONER HANSFORD: Understood. Yes.  
 19 A. I think this is the last slide. This is a personal  
 20 view. Well, these are all personal views rather than  
 21 collective, but I feel quite strongly about this one,  
 22 and I think I've been consistent in my meetings with the  
 23 Commission on this. I've got severe scepticism of what  
 24 I will call automated monitoring systems in situations  
 25 where I do not believe they are necessary. My reason

Page 124

1 for saying that is because they cause more problems than  
 2 they solve.  
 3 And they come under two headings, those problems.  
 4 The first heading would be operationally. Any system  
 5 you will have to put this here, because the movements  
 6 are minute -- I mean very, very small, and I don't know  
 7 what we are looking for. What is it? Are we looking  
 8 for -- generally, when I've used monitoring, it would be  
 9 something where you are plotting something and you are  
 10 seeing a trend and you say, "My goodness me, let's  
 11 stop", like if you are digging a deep hole and you are  
 12 measuring the ground outside, you've made your  
 13 predictions and you are matching it, you're monitoring  
 14 it very, very carefully, and you've got a trend line.  
 15 In a situation like this, I'm not sure what that trend  
 16 line would be. For the life of me, the structure has  
 17 been there for three years, four years. It's deflected  
 18 about as much as it's ever going to. So what  
 19 am I reading? What am I trying to find?  
 20 So it's going to be very -- so anything that's  
 21 there, unless it's, you know, made of polystyrene or  
 22 something and just for show, it's not going to do  
 23 anything. So with very sensitive machines, sensors,  
 24 you'd get noise, you'd get noise on the signal, you  
 25 would get a malfunction in one of the devices, and then

Page 125	Page 127
<p>1 all hell lets loose. You know, suddenly trains have got                  2 to be stopped, people have got to go and find out what's                  3 gone on, so you get a public relations disaster on your                  4 hands.                  5 I'm being practical about this and it might not be                  6 music to many people's ears, but I think the best                  7 solution, and this is what we do on -- my bridge in                  8 Scotland, for example, is festooned with measurement                  9 devices, but there we are measuring towers which are                  10 200m high in high winds and we want to know how much it                  11 moves. But even there we rely mostly on visual                  12 inspection, and what the station really needs is                  13 a planned preventative maintenance/inspection regime,                  14 which means having a look at particular items of                  15 construction which one considers from the analysis                  16 that's been carried out to have a particularly higher                  17 stress than the other areas.                  18 Take area A, for example, with the couplers. It's                  19 been raised as a concern. Well, that would be                  20 an obvious area to inspect regularly, but I can't see                  21 what any instrumentation will do for you.                  22 CHAIRMAN: Can you not -- sorry to interrupt -- calibrate                  23 the monitoring equipment so that it only records                  24 movement at a particular level?                  25 A. Yes, but that level is going to be so small that it's</p>	<p>1 A. Correct, yes. And one of the points that Dr Lau has                  2 made which is very true, if there was such a thing as                  3 shear failure, and I can't see it, but that -- a shear                  4 failure is something which occurs quite quickly. It                  5 doesn't go under -- a punching shear situation, it's                  6 explosive suddenly, but if there was a shear problem,                  7 you would start to get the shear cracks I started                  8 talking about, but you can't see them because they are                  9 in the body, but you might get some slight distortion.                  10 But I really think it would -- I can understand how the                  11 public might say, "You are hiding something", but to be                  12 honest, my advice is trying to protect the government                  13 and the public from what I would say are                  14 misunderstandings of the data that's coming out, and                  15 it's much better if there are regular inspections which                  16 are properly recorded and what I call a preventative                  17 planned maintenance regime is set in place for the                  18 station. That's my advice. I certainly wouldn't engage                  19 in some of the more sophisticated devices like                  20 fibre optics, et cetera, because I just don't think they                  21 are applicable in this situation.                  22 CHAIRMAN: Also, could I ask this. Let's assume for                  23 a second you did -- we are talking theoretically --                  24 start to spot these minute cracks arising and stresses,                  25 minor stresses.</p>
Page 126	Page 128
<p>1 actually within the noise of the thing. I mean, all                  2 electrical, electron devices are not precise, they have                  3 a noise to them, so there's an error in that. If what                  4 you are trying to measure is actually very comparable to                  5 the error, then I'm not sure what you are doing.                  6 CHAIRMAN: I see. Yes.                  7 A. What you could do, if you really were going to be                  8 severe, is you could dig up the structure again and put                  9 some strain gauges on it, but the trouble is the                  10 stresses are already in the bar; it's already stressed                  11 to 90 per cent, so what are you going to be measuring?                  12 CHAIRMAN: And I would suppose -- this is a layman talking                  13 again -- if you only calibrated to start recording                  14 measurements at a fairly high level, then the criticism                  15 may well go out that if you had recorded at a lower                  16 level, you would have picked up a problem much earlier?                  17 A. Correct, and why didn't you do it three years ago? You                  18 can only pick up things into the future, and because the                  19 structure is so dominated by dead load, the loads are                  20 already there, which is my point about the cracking,                  21 which is my point about the stress levels that we've got                  22 in the structure now.                  23 COMMISSIONER HANSFORD: Presumably, Dr Glover, you would                  24 only be measuring any future movement, you wouldn't be                  25 measuring any movement that's already taken place?</p>	<p>1 COMMISSIONER HANSFORD: What would you do?                  2 CHAIRMAN: What do you do, that's it.                  3 A. That's exactly the point. You then descend upon that                  4 point and you carry out very focused investigations on                  5 it, and they don't involve measuring things. They                  6 measure -- sorry, when I say measuring, measuring                  7 dimensions or whatever. You look at it, you look at the                  8 patterns of the shape, you actually go back and ask                  9 yourself is there something extraordinary happening, is                  10 there a particular load that's suddenly come on, has                  11 somebody taken a herd of elephants down there recently                  12 or something, or has there been a very unusual train                  13 load with unused nuclear waste running down, because                  14 they are quite heavy trains actually, someone illicitly                  15 used the railway? So that's what you could do.                  16 The interesting thing is, you see, even if you                  17 installed such a system, whatever that system might be,                  18 you are not going to turn it on and walk away from it.                  19 You are still going to have to carry out inspections.                  20 I mean, maybe people think you don't. Well, you must                  21 do.                  22 CHAIRMAN: Of course. You mean you can't ignore it.                  23 A. So you're going to do that anyway. No, of course not.                  24 CHAIRMAN: But --                  25 A. Sorry, Chairman. Because these instruments wouldn't be</p>



Page 129	Page 131
<p>1 picking up the issue you've just raised which is the</p> <p>2 little cracking. They might pick up the crack in that</p> <p>3 one location or something, but what about the pattern?</p> <p>4 It goes back to the test on the coupler again. If you</p> <p>5 just get one reading, it's not telling you anything</p> <p>6 about the mass, and what you are interested in, in</p> <p>7 inspections, is the correlation between that and that,</p> <p>8 and you can only do that really visually.</p> <p>9 COMMISSIONER HANSFORD: You referred to a planned</p> <p>10 preventative inspection maintenance regime.</p> <p>11 A. I call it a PPM just for shorthand.</p> <p>12 COMMISSIONER HANSFORD: Yes, sure, okay, fine. Is that, in</p> <p>13 your view, over and above what should be happening</p> <p>14 anyway?</p> <p>15 A. I'm not familiar with the procedures in MTR for</p> <p>16 railways, but that's certainly what we have in the UK.</p> <p>17 We have our regular bridge inspections, as you well</p> <p>18 know.</p> <p>19 COMMISSIONER HANSFORD: Yes.</p> <p>20 A. I'm thinking about those in the first five years as</p> <p>21 being an extra-over. I would expect those inspections</p> <p>22 to take place anyway, the ones you and I talk about.</p> <p>23 COMMISSIONER HANSFORD: Yes.</p> <p>24 A. And I'm talking about these being specific and focused</p> <p>25 on those areas which have raised concern.</p>	<p>1 cross-examined by counsel for various of the parties,</p> <p>2 starting with Mr Pennicott, I suspect, then government,</p> <p>3 then Mr Chow, and then finally Mr Shieh for Leightons.</p> <p>4 The learned Chairman and Prof Hansford can ask questions</p> <p>5 at any time they'd like. Then, depending upon what you</p> <p>6 say, conceivably I might have one or two questions for</p> <p>7 you at the end. So please stay there.</p> <p>8 A. Thank you. Is it all right if I continue to stand?</p> <p>9 I feel more comfortable this way.</p> <p>10 CHAIRMAN: Absolutely. You make the choice yourself.</p> <p>11 MR PENNICOTT: Sir, I'm happy to press on. I don't think</p> <p>12 I'm going to be very long, or I'm happy to break,</p> <p>13 depending on how you feel.</p> <p>14 CHAIRMAN: Oh, I see.</p> <p>15 MR PENNICOTT: I don't think I'll be much more -- I had</p> <p>16 estimated previously about half an hour to</p> <p>17 three-quarters of an hour. I think I'm going to be</p> <p>18 a lot shorter than that now, in the light of Dr Glover's</p> <p>19 presentation, to be frank.</p> <p>20 CHAIRMAN: Maybe we will press on for the time being.</p> <p>21 MR PENNICOTT: If I may, sir.</p> <p>22 Examination by MR PENNICOTT</p> <p>23 Q. Dr Glover, can I first of all take up the last point you</p> <p>24 have just been discussing with Chairman and</p> <p>25 Prof Hansford, that is about future monitoring.</p>
Page 130	Page 132
<p>1 COMMISSIONER HANSFORD: Okay. An additional sort of</p> <p>2 enhanced --</p> <p>3 A. Call it enhanced, that's a good word, actually, because</p> <p>4 that's what it is.</p> <p>5 COMMISSIONER HANSFORD: Enhanced inspection regime.</p> <p>6 A. Focused on the areas of concern.</p> <p>7 COMMISSIONER HANSFORD: For something like the first five</p> <p>8 years, perhaps?</p> <p>9 A. Yes.</p> <p>10 COMMISSIONER HANSFORD: Thank you.</p> <p>11 A. The reason I say that is because I think after five</p> <p>12 years people will be satisfied that the thing has been</p> <p>13 operating now for a long period of time, we've shown due</p> <p>14 diligence in trying to get to the bottom of the issues.</p> <p>15 I don't see it being longer than that, but I do agree</p> <p>16 with you, and in fact I think we're speaking the same</p> <p>17 language here, that there has to be a background of</p> <p>18 inspections going right the way through to the future.</p> <p>19 COMMISSIONER HANSFORD: That would be my expectation. Thank</p> <p>20 you.</p> <p>21 CHAIRMAN: Thank you very much.</p> <p>22 A. I think that's the last slide, isn't it? Yes. Thank</p> <p>23 you very much, Prof Hansford and Chairman.</p> <p>24 MR BOULDING: Dr Glover, I have no questions arising out of</p> <p>25 the presentation. The procedure now is that you will be</p>	<p>1 A. Mmm.</p> <p>2 Q. In the joint report, for the first part of the</p> <p>3 Inquiry --</p> <p>4 A. Ah, right, yes.</p> <p>5 Q. -- you may recall that's where this hare started</p> <p>6 running, because the experts on that occasion -- it's</p> <p>7 annexure E, sir, to the interim report where you have</p> <p>8 actually set out the whole of that agreement -- at</p> <p>9 paragraph 5:</p> <p>10 "... agreed as follows.</p> <p>11 'All agreed that a load test was unnecessary because</p> <p>12 it would yield no meaningful result and long-term</p> <p>13 monitoring would be a better approach to allay public</p> <p>14 [safety] concerns."</p> <p>15 A. Yes.</p> <p>16 Q. So that was what was, as it were, signed up to and</p> <p>17 agreed at that stage.</p> <p>18 A. Yes.</p> <p>19 Q. That led to the Commission, at paragraph 391 of the</p> <p>20 interim report, making a recommendation that:</p> <p>21 "The Commission recommends ongoing monitoring of the</p> <p>22 station structure during operation of the station, so as</p> <p>23 to provide reassurance to the public."</p> <p>24 Do you see that?</p> <p>25 A. I do.</p>

Page 133	Page 135
<p>1 Q. Now, as I understand it, what we are now doing, or what                  2 you are doing, and I'm bound to say --                  3 A. Suggesting.                  4 Q. Suggesting, and I'm bound to say straightaway.                  5 Dr Glover, Prof McQuillan agrees with you.                  6 A. Oh.                  7 Q. -- is putting a bit more detail on the monitoring.                  8 A. That's right, and I must -- we put forward that proposal                  9 at that time because we did not have the benefit of the                  10 stage 2 -- in fact any of the holistic works.                  11 Q. Quite.                  12 A. We had only had a sort of microscopic approach, looking                  13 at certain aspects.                  14 Q. Yes.                  15 A. But now we look at the total picture, I think it would                  16 be overkill to do more than I'm suggesting.                  17 Q. Yes.                  18 COMMISSIONER HANSFORD: I can't remember the interim report                  19 without looking at it. Can we go down a bit, because                  20 I think we go on in paragraph -- no, we don't. It's in                  21 a previous section.                  22 MR PENNICOTT: No, that is the only recommendation.                  23 COMMISSIONER HANSFORD: There's a previous section where                  24 reference is made to the expectation that the movement                  25 will be extremely low.</p>	<p>1 station, it's going to fall down." It's a question of                  2 freedom of access to information and misreading of                  3 information, et cetera, et cetera.                  4 MR PENNICOTT: Yes.                  5 CHAIRMAN: Whereas visual testing is a monitoring of itself.                  6 A. Correct.                  7 CHAIRMAN: You say it's more likely to be accurate as to                  8 anything that really needs work done.                  9 A. Yes. At a very simple level, you can see that the                  10 inspector comes along, he takes a photograph from                  11 exactly the same position, the same angle. He                  12 highlights whatever he might have seen on the first                  13 occasion and he sees if there's they difference. If he                  14 does see something which is a little bit untoward, he                  15 would go back at a quicker interval. It's                  16 a responsive -- it has to have the rigour of regularity,                  17 but then if there is a concern, you speed up that                  18 particular issue in that particular location. I mean,                  19 that's the way it's done around the world. This is not                  20 new.                  21 CHAIRMAN: All right. So that would be a very normal,                  22 accepted --                  23 A. Yes.                  24 MR BOULDING: Sir, I hesitate to intervene, but it may well                  25 assist Prof Hansford, when he was talking about what he</p>
Page 134	Page 136
<p>1 MR PENNICOTT: That's right. It's the next sentence                  2 actually on 391:                  3 "... the Commission notes the advice it has received                  4 that it is unlikely that any significant movement will                  5 occur."                  6 That's I think what you had in mind.                  7 COMMISSIONER HANSFORD: Thank you, that's the point.                  8 CHAIRMAN: But on the other hand, if you are looking at the                  9 recommendation -- and again we are talking theoretically                  10 at the moment, to test the parameters -- you don't want                  11 a test which unnecessarily and inaccurately and                  12 erroneously causes public alarm --                  13 MR PENNICOTT: Quite.                  14 CHAIRMAN: -- as opposed to public quietude, because the                  15 press would be entitled to ask, "Oh, there have been                  16 37 little beeps below whatever measurement is used", and                  17 that gets into some newspaper and they are talking about                  18 37 incidents of stress or something appearing, and                  19 nobody wants to go down to the Tube station anymore.                  20 MR PENNICOTT: Yes.                  21 CHAIRMAN: That's overkill, but I don't think it's that much                  22 of an overkill, actually.                  23 A. I agree with you.                  24 CHAIRMAN: It's not necessarily that you actually have to                  25 have alarms running and saying, "Please get out of the</p>	<p>1 had in mind, if we went to chapter 11 of that report and                  2 started looking, I think, at paragraphs 459 and 460.                  3 I hope that might assist.                  4 COMMISSIONER HANSFORD: Yes, thank you. I knew there was                  5 a bit more written somewhere. Yes, that's right, thank                  6 you, that's exactly it.                  7 CHAIRMAN: Because one of the problems -- and I'm musing out                  8 loud -- is that what can happen to the average person in                  9 the street, which includes me, except I've been educated                  10 now because I've been here now for several months, is it                  11 becomes actually a little bit blown up and almost                  12 becomes a sort of Samson and Delilah type of Armageddon                  13 where you imagine the station suddenly, the columns                  14 coming down and the whole thing crashing down and the                  15 public fleeing out, you know --                  16 A. Screaming.                  17 CHAIRMAN: -- being crushed to death and everything, as                  18 opposed to what in realistic terms it would be, even if                  19 one took Dr Lau's scenario without any equivocation at                  20 all, it would be some form of cracking requiring                  21 internal works, but may be something very small falling                  22 off a roof or something, but nothing of any --                  23 A. Consequence.                  24 CHAIRMAN: -- real consequence --                  25 A. Correct.</p>

Page 137	Page 139
<p>1 CHAIRMAN: -- to the public at large all at one time.</p> <p>2 A. Yes.</p> <p>3 CHAIRMAN: Thank you very much.</p> <p>4 MR PENNICOTT: Mr Boulding having helpfully pointed us in</p> <p>5 the right direction, if we could just have a look at</p> <p>6 paragraph 460 of the interim report. It does indeed</p> <p>7 say:</p> <p>8 "The Commission accepts the advice provided to it by</p> <p>9 independent structural engineering experts that the east</p> <p>10 and west diaphragm walls and EWL slab and NSL platform</p> <p>11 slabs should be instrumented to detect movement during</p> <p>12 the operational phase of the station. Instrumentation</p> <p>13 should be by means of fibre optics or other approved</p> <p>14 measures. Movements should be monitored and reported to</p> <p>15 the government."</p> <p>16 I think it's that aspect of it, Dr Glover, that you</p> <p>17 are now, as it were, suggesting perhaps is a stretch too</p> <p>18 far?</p> <p>19 A. I'm sorry. I think it is going too far and the reason</p> <p>20 for that is we've done so much more analysis and it's</p> <p>21 just fortuitously I included a slide about vibration</p> <p>22 fatigue. Quite honestly that demonstrates yet again</p> <p>23 that the levels of detecting movement is going to be</p> <p>24 very, very low, to a level which I couldn't have</p> <p>25 anticipated back a year ago. I just hadn't done the</p>	<p>1 The suggestion is what I call an appropriate response to</p> <p>2 the results of the investigations we've carried out.</p> <p>3 MR PENNICOTT: Yes.</p> <p>4 CHAIRMAN: Yes.</p> <p>5 A. I'm certainly not suggesting just walk away.</p> <p>6 MR PENNICOTT: We understand.</p> <p>7 CHAIRMAN: No, no. In fact, as Mr Boulding has pointed out,</p> <p>8 those last two paragraphs, they flow on nicely from</p> <p>9 that, so it's a form of monitoring that takes into</p> <p>10 account what we've mentioned in those paragraphs.</p> <p>11 MR PENNICOTT: Yes.</p> <p>12 COMMISSIONER HANSFORD: Well, we drafted them as such.</p> <p>13 MR PENNICOTT: Of course.</p> <p>14 COMMISSIONER HANSFORD: But can I just be clear -- I will</p> <p>15 ask the question of you, Dr Glover, but you may not know</p> <p>16 the answer -- has any instrumentation been put in place</p> <p>17 to date?</p> <p>18 A. Not that I know of. There were some railway</p> <p>19 instrumentations when they were running trains, as far</p> <p>20 as I'm aware, but nothing specific to the structural</p> <p>21 integrity.</p> <p>22 COMMISSIONER HANSFORD: Right.</p> <p>23 A. That would have to be confirmed by MTR, but no.</p> <p>24 COMMISSIONER HANSFORD: Right. Thank you.</p> <p>25 MR PENNICOTT: Sir, I just thought I would deal with that</p>
Page 138	Page 140
<p>1 work.</p> <p>2 MR PENNICOTT: Sir, and your notification, and I'm sure</p> <p>3 Dr Glover will be pleased to hear it as well, my</p> <p>4 instructions are that Prof McQuillan takes the same view</p> <p>5 as Dr Glover regarding the type of monitoring going</p> <p>6 forward that would be appropriate, and I know because</p> <p>7 I've seen some draft of his slides already and had</p> <p>8 a discussion with him about it. So I think certainly</p> <p>9 Prof McQuillan and Dr Glover are ad idem on that</p> <p>10 particular point.</p> <p>11 CHAIRMAN: Certainly, as an aside, not often but it's</p> <p>12 sometimes an unintended side effect of testing new</p> <p>13 medical equipment on individuals, but if it's too</p> <p>14 refined, you frighten the patient to death, because he's</p> <p>15 strapped up with some sort of monitoring system, and</p> <p>16 every time he looks, it's in the red, and he thinks he's</p> <p>17 dying. So I can see trying to get something that is</p> <p>18 accurate that doesn't cause alarm.</p> <p>19 MR PENNICOTT: Getting the balance right.</p> <p>20 A. Yes, getting the balance right. I would call it an</p> <p>21 appropriate response.</p> <p>22 MR BOULDING: Could I just invite your attention to</p> <p>23 paragraphs 461 and 462 as well. Thank you.</p> <p>24 MR PENNICOTT: Indeed.</p> <p>25 A. I would use the word "appropriate response", really.</p>	<p>1 first whilst it's fresh in everybody's minds.</p> <p>2 CHAIRMAN: Thank you very much. Very practical, and could</p> <p>3 be important or it is important.</p> <p>4 MR PENNICOTT: All right.</p> <p>5 Dr Glover, thank you for that and thank you again</p> <p>6 for coming back to the Commission to give evidence.</p> <p>7 I forgot to mention it earlier.</p> <p>8 A. Thank you for inviting me.</p> <p>9 Q. Dr Glover, just a few points arising out of your</p> <p>10 reports, if I may. Can I ask you, please, to be shown</p> <p>11 paragraph 5.2 of your COI 1 report. We will put that up</p> <p>12 on the screen if it's easier.</p> <p>13 A. 5.2, yes.</p> <p>14 Q. This is the paragraph that I showed or read out part of</p> <p>15 to Dr Lau yesterday.</p> <p>16 A. Yes.</p> <p>17 Q. It's where you refer to the degree of post-construction</p> <p>18 surveys, inspections and opening-ups and so forth.</p> <p>19 A. Mm-hmm.</p> <p>20 Q. You say, towards the end of that paragraph:</p> <p>21 "... none of the findings have exposed any fatal</p> <p>22 flaws in the construction ..."</p> <p>23 And I think that's something that Dr Lau was happy</p> <p>24 to agree with. Then you say this:</p> <p>25 "... despite the analysis and testing being</p>

Page 141	Page 143
<p>1 subjected to very high acceptance standards."                  2 What did you mean by that, "very high acceptance                  3 standards"?"                  4 A. I'm sorry, I've lost that particular sentence. Sorry,                  5 yes, the last clause, yes. I've got it.                  6 Yes, what I was saying was we've found nothing --                  7 maybe the English is poor, but the intention is: nothing                  8 has been found and we have gone to enormous lengths to                  9 find the smoking gun, and the smoking gun has not been                  10 found, if you want that in sort of plain English.                  11 COMMISSIONER HANSFORD: It's not acceptance standards, it's                  12 the --                  13 A. The rigour by which we have conducted the tests and the                  14 studies. I do apologise for that. It must have been                  15 a midnight paragraph.                  16 MR PENNICOTT: That's fine. That's why I'm here.                  17 A. I hope that makes sense. That does read with it,                  18 I think.                  19 Q. Okay. Can I just ask you this, Dr Glover. Do you, from                  20 an engineering perspective, see any difference at all                  21 between safety on the one hand and fit for purpose on                  22 the other?                  23 A. Yes, I do, and the reason for that is fitness for                  24 purpose as far as -- you have safety, which is to do                  25 with being secure, the structure is strong enough and it</p>	<p>1 A. That's correct.                  2 Q. Was that something you were personally involved in or                  3 was that some of your colleagues at Arup?                  4 A. Some of my colleagues at Arups. It's one I shared in.                  5 Q. When you say you shared in, you personally believe that                  6 that is the right approach?                  7 A. Oh, yes, absolutely. As I've said, I'm not                  8 a statistical expert but I use statistics quite a lot,                  9 and as a firm we use it quite a lot, statistics, the                  10 application of statistics.                  11 Q. Because, as I understand it, whilst it may have been                  12 Arup that suggested or proposed the binomial approach,                  13 it was others that, as it were, set the bar for the pass                  14 or fail mark?                  15 A. Oh, yes. No, no, ours was just a suggestion on                  16 methodology.                  17 Q. All right. Could I ask you, please, to be shown                  18 paragraph 7.11 of your first report, the COI 1 report.                  19 A. Yes.                  20 Q. I think, Dr Glover, to some extent you've probably                  21 covered this in your slides, but at 7.11(i) --                  22 A. Yes.                  23 Q. -- you say:                  24 "From the results of the extensive testing of the                  25 coupler connections by MTR and others, I am satisfied</p>
Page 142	Page 144
<p>1 doesn't deflect too much or whatever, but the other                  2 aspect of fitness for purpose is it's got to operate --                  3 it's got to have the right sort of characteristics in                  4 terms of deflection, which is a crossover between the                  5 two.                  6 But a structure can be safe but I couldn't use it as                  7 a railway because it could deflect too much. Does that                  8 help you?                  9 Q. Yes.                  10 A. I mean, so there is a separation, and I thought Dr Lau's                  11 sort of long list, you could see there are many which                  12 are common and there are also many which are completely                  13 different. If you take my one about fitness for purpose                  14 in terms of aesthetics, for example.                  15 Q. Yes.                  16 COMMISSIONER HANSFORD: And it could not be fit for purpose                  17 unless it was safe?                  18 MR PENNICOTT: Unless it was safe.                  19 A. Correct.                  20 Q. Not necessarily the other way around.                  21 A. Thank you for that. That's a very good way of looking                  22 at it.                  23 Q. The next short point. You tell us that it was Arup that                  24 initiated or suggested the application of the binomial                  25 approach to the statistical analysis.</p>	<p>1 that a coupler connection with an engagement length of                  2 32mm will achieve the full strength of the connection,                  3 and satisfy the full range of strength tests specified                  4 by the relevant code AC133."                  5 And that's obviously something that Prof McQuillan                  6 and Mr Southward agree also?                  7 A. Yes.                  8 Q. Then if we could go to the very last subparagraph, that                  9 is (xv) --                  10 A. Yes.                  11 Q. -- you say:                  12 "For the above reasons" -- and obviously there are                  13 extensive reasons set out which I am not going through                  14 -- "I conclude that the coupler connections in all parts                  15 of the HUH Station are both fit for purpose and safe,                  16 including [the important words] the EWL coupler                  17 connections in area A."                  18 A. Correct.                  19 Q. As I understand it, as you've explain in your slides and                  20 you explain in your report, that is because you cannot                  21 see any differentiation between the fixings in B and C                  22 and area A?                  23 A. No. And if you look at the data, that's the conclusion                  24 I think other engineers would arrive at, or most other                  25 engineers because there clearly are exceptions.</p>

Page 145	Page 147
<p>1 Q. And also that's underpinned, as you've explained and                  2 I just want to make sure I've got this clear, because of                  3 the limited number of samples taken from area A and your                  4 view that the purpose (i) tests in area A could sensibly                  5 have been taken?                  6 A. I believe they were never even looked at, from this                  7 point of view.                  8 Q. The consequence of doing that would have been to reduce                  9 the failure percentage down to something like 23 per                  10 cent?                  11 A. 23 per cent, yes.                  12 Q. All right. Then we can reach our own conclusions as to                  13 doing the work in area A as a consequence.                  14 A. Yes.                  15 Q. Okay.                  16 A. It is on the basis of the 32 millimetre engagement.                  17 Q. Indeed.                  18 A. I don't want that to be misunderstood.                  19 Q. I understand it's on the basis of 32 millimetres. You                  20 made that very clear.                  21 CHAIRMAN: I'm just wondering, 15 minutes now, 4 o'clock?                  22 MR PENNICOTT: Yes.                  23 CHAIRMAN: We will need to stop this evening fairly sharp,                  24 just a minute or two before 5.00.                  25 MR PENNICOTT: All right.</p>	<p>1 the construction process whether that be [in] the EWL                  2 area C or the NSL area A and observation of the                  3 similarity in the distribution of the data from the NSL                  4 and the EWL supports that conclusion."                  5 Now, Dr Glover, I understand what you say about it                  6 being a standard construction process and standard                  7 materials, and so forth, but the points have been made,                  8 have they not, that so far as the sub-contractor in                  9 area A and -- the steel fixing sub-contractor in area A                  10 and steel fixing sub-contractor in area B, they were                  11 different, do you regard that as relevant, different                  12 sub-contractors?                  13 A. I do consider that to be relevant, but I did not                  14 understand them to be different.                  15 Q. The works in area A were carried out at a different time                  16 than B and C, about a year or so apart; would that be                  17 relevant?                  18 A. It would be relevant if the workforce had changed                  19 substantially, but the construction sequence was                  20 continuous. I mean, for example, if it had been phased                  21 in the sense that a piece of work had been completed and                  22 then it had been returned to another part six months                  23 later, you would have lost what I consider to be the                  24 conventional wisdom of how to build on that side, but                  25 that's not the case. Construction was continuous.</p>
Page 146	Page 148
<p>1 CHAIRMAN: Thank you.                  2 (3.58 pm)                  3 (A short adjournment)                  4 (4.15 pm)                  5 MR PENNICOTT: Dr Glover, could I then, skipping over the                  6 elongation test which I was going to ask you about but I                  7 will not in the light of what you told us by reference                  8 to your slides.                  9 Could I ask you to look at paragraph 7.15 of your                  10 COI 1 report. This is in the section where you are                  11 dealing with the single data set --                  12 A. Ah, right.                  13 Q. -- which I've touched on a moment ago, in fact. You                  14 start off by saying at 7.13:                  15 "Coupler connections are widely used in the                  16 construction industry, and as such they may be                  17 considered as a standard product with an experienced                  18 workforce available to execute the construction                  19 thereof."                  20 Then, passing over the next paragraph and going to                  21 7.15:                  22 "Notwithstanding, it is a reasonable judgment to                  23 make that the variation in coupler engagement will be,                  24 in an engineering judgment context, for a particular                  25 site and conditions applying thereto the same throughout</p>	<p>1 Q. All right. Would you agree that the slab that was being                  2 constructed in area A is a lot less deep, thick, than                  3 the one being carried out in areas B and C, that is --                  4 A. Yes, I would. I would accept that.                  5 Q. Would you agree, therefore, that the conditions were                  6 materially different in terms of fixing the rebar into                  7 the couplers?                  8 A. No, I wouldn't agree with that. I would say, when you                  9 say materially different, that conjures up a picture to                  10 me that they are dramatically different. But the                  11 physical operation was still going to be the same,                  12 particularly at the EWL level.                  13 The one situation which stands out is the points                  14 that I made, I hope I made, when I gave my presentation,                  15 that I would have expected area A to show a better                  16 performance than the other areas, but that doesn't mean                  17 to say that I would have expected to see it dramatically                  18 different.                  19 You would have had the same basic distribution, it's                  20 just that it would have been, I would have thought,                  21 slightly better.                  22 Q. That's for the reasons you gave?                  23 A. It's less congested.                  24 Q. Easier access, less congested?                  25 A. Most importantly, both sides.</p>

Page 149	Page 151
<p>1 Q. And being able to visually --</p> <p>2 A. Touch it, yes.</p> <p>3 COMMISSIONER HANSFORD: The point being that the holistic</p> <p>4 report -- not the holistic report, the verification</p> <p>5 report demonstrated or suggested it was materially worse</p> <p>6 and that --</p> <p>7 A. I see, yes.</p> <p>8 COMMISSIONER HANSFORD: -- appeared to be an anomaly; is</p> <p>9 that the point?</p> <p>10 A. Yes, I mean, when you have lack of -- I hope I'm</p> <p>11 answering your question; stop me if I go off down the</p> <p>12 wrong track.</p> <p>13 If you have isolated bars that you can see, you can</p> <p>14 touch both sides of it, particularly if they're in the</p> <p>15 vertical instance as they were in the trough walls, is</p> <p>16 very difficult to -- certainly in the trough walls, they</p> <p>17 couldn't be unconnected, because they would fall over.</p> <p>18 If it isn't screwed in, it's just going to fall out.</p> <p>19 There's no doubt I was expecting that area A would have</p> <p>20 a better performance. When I say "better", I mean not</p> <p>21 enormously different but that certainly a less --</p> <p>22 a better performance than in the other areas. But again</p> <p>23 your words, "materially", no, not materially different</p> <p>24 in the sense that they would say, "Oh my goodness me,</p> <p>25 this is a different situation". No, I would have</p>	<p>1 that was not because of a structural reduction factor.</p> <p>2 It was because there was a lack of records, and I can</p> <p>3 relate to that, but 35 per cent is very arbitrary.</p> <p>4 Q. Yes.</p> <p>5 A. I'm sorry, I'm not sure if I'm really helping you,</p> <p>6 Mr Pennicott.</p> <p>7 Q. It's just that we know that the reduction factor of</p> <p>8 35 per cent has been taken from the investigations that</p> <p>9 have been carried out not in the HHS, not in the trough</p> <p>10 walls.</p> <p>11 A. Yes, I wish you had asked me that to start with, because</p> <p>12 that would have helped me meandering around. No, it was</p> <p>13 an arbitrary decision to do that, because there is no</p> <p>14 relationship between the 35 per cent. I mean, it isn't.</p> <p>15 The fact that they are the same -- I assumed that the</p> <p>16 fact that they were the same number was coincidental.</p> <p>17 I didn't think people would have extrapolated it from</p> <p>18 one and put it in the other, because there is no</p> <p>19 technical basis for doing that.</p> <p>20 Q. No. Quite. All right.</p> <p>21 A. But there is an arbitrary basis. If you want a number</p> <p>22 and it's floating around, you select it, I guess.</p> <p>23 Q. It's arbitrary?</p> <p>24 A. It's totally arbitrary.</p> <p>25 Q. There's nothing else, that's all there is, on one view?</p>
Page 150	Page 152
<p>1 expected it to be mild because it is the physical</p> <p>2 operation of screwing something into something else,</p> <p>3 it's related to human strength, it's related to the way</p> <p>4 one positions oneself. It's almost an ergonomic problem</p> <p>5 and as a consequence I believe, my opinion, that you</p> <p>6 would tend to get a statistical distribution on the</p> <p>7 amount of engagement that would have taken place.</p> <p>8 MR PENNICOTT: Yes. You mentioned the trough walls during</p> <p>9 the course of that answer.</p> <p>10 A. Yes.</p> <p>11 Q. Would you accept that that work or the conditions in</p> <p>12 which that work was carried out in the trough walls was</p> <p>13 very different to the slabs in area A, B and C?</p> <p>14 A. I see some similarities in the sense that I described to</p> <p>15 you, which is that with area A you could see both sides</p> <p>16 of it, but the most important thing is the size of the</p> <p>17 reinforcement was so much smaller. I mean, we are</p> <p>18 talking about -- compared to area A and areas B and C,</p> <p>19 the reinforcement is a phenomenal size, and it's</p> <p>20 vertical.</p> <p>21 Q. Yes.</p> <p>22 A. So it's visible, it's touchable, inspectable, at all</p> <p>23 stages of construction. It's not hidden up by</p> <p>24 subsequent layers. That's why I was surprised that it</p> <p>25 was penalised in the way that it was. But I believe</p>	<p>1 A. You could. You could also say -- you could open the</p> <p>2 works up slightly, if you were that concerned.</p> <p>3 Q. Yes, quite.</p> <p>4 A. And you wouldn't have to do very much to do that, would</p> <p>5 you? No, I think the 35 per cent is slightly penal,</p> <p>6 from what I would think, but is it really of a physical</p> <p>7 consequence? As you can see from my response earlier,</p> <p>8 I think the problem has been approached from the wrong</p> <p>9 direction.</p> <p>10 Q. All right. Just one last point on the trough walls.</p> <p>11 You will have heard that one of Dr Lau's concerns is in</p> <p>12 relation to the columns and the potential damage that</p> <p>13 might be caused or deflection that might be caused by</p> <p>14 a train derailing, having impact with the trough wall</p> <p>15 and then adversely affecting the column.</p> <p>16 A. Yes.</p> <p>17 Q. Do you have any observations about that?</p> <p>18 A. I have a number of observations about the detail that</p> <p>19 was constructed. I mean, if you are that worried about</p> <p>20 it -- and I have not studied the drawing in any great</p> <p>21 detail so I could be wrong here -- but you certainly</p> <p>22 would leave an air gap, wouldn't you, behind that wall</p> <p>23 and the column?</p> <p>24 Q. There is certainly a gap. I think Dr Lau told us 50 --</p> <p>25 60, I think it was.</p>

<p>Page 153</p> <p>1 A. There's a distance between the two but whether it's 2 a gap I'm not sure, because the whole area is filled 3 with soil, and also the oversite concrete which was put 4 on top of the soil is in rigid contact with the column. 5 But this is before the work. I would say that if you 6 really were -- and I'm not suggesting anyone wasn't 7 concerned about the columns, I'm sure they were, but if 8 that was the case you would have certainly left a void, 9 not a gap, a void, between the wall and the column, and 10 you would have gone further than that, you would have 11 made sure that the oversite concrete that's at the top 12 of the wall certainly didn't contact the column, and 13 I have only been to the sidings once but my observation 14 was that the oversite concrete was indeed cast around 15 the column, so why would you do that if you wanted to 16 isolate them? 17 The other thing is -- I'm sorry, sir, I'm going on 18 a bit. 19 Q. I asked you to comment. 20 CHAIRMAN: No, carry on. 21 A. To be quite candid, you would have put an isolation zone 22 around the column, wouldn't you? You have sleeved it 23 with a gap, not just on the front face but all around. 24 Because, as I've pointed out, why I think it's -- I hate 25 to say this because these things get misunderstood. Why</p>	<p>Page 155</p> <p>1 Q. Yes. 2 A. One's looking at it purely as a piece of concrete, 3 cantilevering in free air and not really taking account 4 of the real situation that one has before one, and also 5 not really understanding what a train derailment looks 6 like. 7 Q. Okay. That's sufficient for my purpose. 8 A. I'm sorry, I don't want to cut off -- 9 Q. No, that's fine. I just wanted your comments on the 10 column and we've got those comments. Thank you very 11 much. That's very clear. 12 A. Thank you. 13 Q. Just a couple of questions on the construction joint and 14 the ... (unclear word) -- 15 A. Okay. 16 Q. -- and the dowels which you covered in slide 28. Could 17 we have a look at your slide 28, please. 18 You see in bullet point 2 -- 19 A. Yes, sorry. 20 Q. -- Dr Glover, you insert the word "nominal" before the 21 words "dowel detail", and I assume you have used the 22 word "nominal" advisedly. Why do you describe it as 23 "nominal"? 24 A. It's nominal when you consider the mass of the 25 construction that's there. I mean, it's a 1.2 metre</p>
<p>Page 154</p> <p>1 I believe the solution lies in looking at the model more 2 appropriately is because if you wanted to isolate 3 something, you would make sure that it didn't pick up 4 all sorts of secondary effects. Now, that column is not 5 isolated. None of them are isolated. They've all got 6 the soil compacted around them and the oversite concrete 7 contacts them. No allowance has been taken of the fact 8 that the oversite concrete, which I know in official 9 terms is not structural and therefore is neglected, but 10 when you do a dynamics problem, you include everything. 11 That means that if a train does impact, that oversite 12 concrete and the soil will press on anything it possibly 13 can, which includes the adjoining walls and the column. 14 If you were that concerned about it, you would put 15 not a sleeve, you would put a gap all the way around the 16 column, and I'm not aware that there is one, and the 17 drawings are not that clear, actually, so I back away 18 from actually saying definitively that it's not there, 19 but that's what I've observed. I hope that makes sense 20 to you. 21 MR PENNICOTT: It does make sense and I think our 22 understanding is the same as yours in terms of what was 23 physically there in the first place. 24 A. So, as far as I'm concerned, one is looking at that 25 particular problem from the wrong end of the telescope.</p>	<p>Page 156</p> <p>1 wide wall, you know, 4 foot wide (demonstrating). It 2 goes on for hundreds of metres, and one's inserting 3 a 25 millimetre diameter bar, I believe, at something 4 like 600 centres, when you've already got the sort of 5 reinforcement I've already indicated, and those of us 6 who've gone to the site know how much reinforcement is 7 there, and they act as dowels. 8 So I say "nominal" because it's -- in comparison to 9 what is already there and the scale of the project, it's 10 nominal. 11 Q. Structurally insignificant? 12 A. Structurally certainly insignificant in terms of the 13 safety criteria of the structure. 14 Q. Right. 15 A. But as I've said, people have got other criteria which 16 they wish to apply, and as I said earlier I'm not going 17 to stop my neighbour playing football in his garden. 18 Q. Understood. 19 A. It's their decision. But you've asked me, this 20 Commission, to give my opinion on safety and fitness for 21 purpose and I've said that the existing arrangement 22 certainly satisfies those two requirements. I do 23 apologise to anybody for any offence on "nominal". 24 Q. Not at all. I just wanted to make sure I understood 25 what you meant and I do now.</p>

Page 157	Page 159
<p>1 A. Okay, that's good.</p> <p>2 MR PENNICOTT: Thank you. Just give me a moment to see if</p> <p>3 there's anything else.</p> <p>4 Thank you very much, Dr Glover. I have no further</p> <p>5 questions.</p> <p>6 WITNESS: Thank you very much.</p> <p>7 CHAIRMAN: Yes, Mr Chow.</p> <p>8 Cross-examination by MR CHOW</p> <p>9 MR CHOW: Thank you, Mr Chairman.</p> <p>10 Good afternoon, Dr Glover.</p> <p>11 A. Good afternoon.</p> <p>12 Q. As you may be aware, I represent the government and</p> <p>13 there are a few topics I would like to discuss with you</p> <p>14 this afternoon.</p> <p>15 Dr Glover, the first topic I would like to explore</p> <p>16 with you relates to the partial factor of safety that</p> <p>17 you have taken us through earlier in your presentation.</p> <p>18 If I may refer you to the relevant part of the Concrete</p> <p>19 Code, at bundle H8, page 2840, please. Go down a little</p> <p>20 bit. Clause 2.3.1.3.</p> <p>21 Dr Glover, you know that the various partial factors</p> <p>22 of safety are set out in the Concrete Code?</p> <p>23 A. Yes.</p> <p>24 Q. As to what those factors account for, I can only refer</p> <p>25 to what is set out in the Concrete Code, and the</p>	<p>1 it's referred to as a partial safety factor, it is</p> <p>2 a combination of two other partial factors, and the</p> <p>3 description that's written there is a -- I hate to use</p> <p>4 the phrase again -- but one size fits all. It's when</p> <p>5 you start to break down the gamma f that you start to</p> <p>6 get the constituent parts. So gamma f is the result of</p> <p>7 considering other factors. As long as that's</p> <p>8 understood.</p> <p>9 Q. Yes. May I take you through the details of these</p> <p>10 various factors, just to get an appreciation of if</p> <p>11 there's any reduction, the extent of reduction that we</p> <p>12 can have; right?</p> <p>13 A. Yes.</p> <p>14 Q. The first item referred to here, regarding "unconsidered</p> <p>15 possible increases this load" -- now, in respect of this</p> <p>16 factor, the fact that we have now carried out</p> <p>17 a post-construction structural assessment, there remains</p> <p>18 risk in relation to possible increases in load; correct?</p> <p>19 A. Yes, because that's why we have the load factors.</p> <p>20 Q. That's right.</p> <p>21 A. If I can just draw attention to the fact that you've got</p> <p>22 the dead load factor there and you've got the live load</p> <p>23 factor there, and each one will have a different risk</p> <p>24 level associated to it.</p> <p>25 Q. Certainly, yes.</p>
Page 158	Page 160
<p>1 particular provision I would like to discuss with you is</p> <p>2 2.3.1.3. You see the paragraph starting with that</p> <p>3 symbol gamma f; do you see that?</p> <p>4 A. Mm-hmm.</p> <p>5 Q. This is where they talk about what factors that the</p> <p>6 partial load factors account for, and what is set out</p> <p>7 here in this part of the code is that it provides that</p> <p>8 the partial safety factors take account of unconsidered</p> <p>9 possible increases in load, inaccurate assessment of</p> <p>10 load effects, unforeseen stress redistribution,</p> <p>11 variation in dimensional accuracy and the importance of</p> <p>12 the limit state being considered.</p> <p>13 Do you see that?</p> <p>14 A. Yes, I do.</p> <p>15 Q. Do you agree that the description given here is exactly</p> <p>16 the same as the description provided in the British</p> <p>17 code, BS 8110?</p> <p>18 A. I'm sorry, I can't confirm that, but I should imagine it</p> <p>19 looks very familiar.</p> <p>20 Q. You can take it from me because I have compared the two</p> <p>21 versions.</p> <p>22 A. Okay, I've got no problems with that, but could I just</p> <p>23 add: you are using "gamma f".</p> <p>24 Q. Yes.</p> <p>25 A. The point I was making earlier is that gamma f, although</p>	<p>1 A. But the one that I -- and I have not challenged the live</p> <p>2 load one, if that's where you wanted to go. I'm saying</p> <p>3 that is a factor to take account of the future, because</p> <p>4 that's about the operations.</p> <p>5 Q. Right.</p> <p>6 A. No, the issues I was focusing on particularly are the</p> <p>7 dead load factors, particularly as applied to this</p> <p>8 structure, and in those considers -- when you say the</p> <p>9 "unconsidered possible increases in load", then when you</p> <p>10 are talking about the dead load gamma f, then it's not</p> <p>11 really conceivable that you are going to have -- let's</p> <p>12 call it a 40 per cent increase in the loading, are you?</p> <p>13 But if it was a live loading consideration, then most</p> <p>14 certainly I wouldn't be challenging it in</p> <p>15 a post-construction stage, but I most certainly would be</p> <p>16 looking at the dead load, because I've now got</p> <p>17 information which I didn't have.</p> <p>18 If I don't watch out, I'm going to answer all your</p> <p>19 questions before you've even asked them. I think</p> <p>20 I should stop. I'm sorry. You know me well enough.</p> <p>21 I'm sorry. I will shut up.</p> <p>22 Q. I am coming to that. As you are talking about dead</p> <p>23 load, I notice that in the various factors listed out</p> <p>24 here, one of those factors relates to the dimensional</p> <p>25 accuracy, so that would go to the question of dead load?</p>



Page 161	Page 163
<p>1 A. Yes.</p> <p>2 Q. My understanding, in fact it's my instruction, is that</p> <p>3 MTR's consultant, Atkins, in carrying out the stage 3</p> <p>4 structural assessment, Atkins has not actually gone out</p> <p>5 to site, taken measurements as to the real dimensions of</p> <p>6 various structural members so as to take into account</p> <p>7 the possible variation in structural dimension. If that</p> <p>8 is the case, do you agree that the risk in association</p> <p>9 with variation in structural dimension remains</p> <p>10 notwithstanding the fact that the stage 3 structural</p> <p>11 assessment is concerned about post-construction</p> <p>12 structural assessment?</p> <p>13 A. But inspections have been made, Mr Chow. They have been</p> <p>14 made. I've seen the surveys. So the knowledge is</p> <p>15 there. Whether they are taken account of in the</p> <p>16 analysis or not is another matter, and I did say in my</p> <p>17 presentation that I wasn't seeking to actually apply</p> <p>18 these to the Hung Hom analyses. I was just saying</p> <p>19 I believe it would have been appropriate if I had chosen</p> <p>20 to, and if I had chosen to I would have ended up with</p> <p>21 even less levels of stress.</p> <p>22 So I hope I'm answering your question. I mean, is</p> <p>23 it? I haven't used the opportunity to use a reduced</p> <p>24 dead load. I have not done that in the analysis. I've</p> <p>25 just pointed out that it would be reasonable to do so</p>	<p>1 have still left something back in there.</p> <p>2 But if you stand back from here, if I had</p> <p>3 a 200 millimetre thick slab, I designed a 200 millimetre</p> <p>4 thick slab, the variations in the concrete thickness, it</p> <p>5 wouldn't be unexpected for it to be 20 millimetres,</p> <p>6 maybe, you know. So therefore the highly variation on</p> <p>7 thin things is quite high, but the likely variation on</p> <p>8 thick things is very low. And all I'm saying is that in</p> <p>9 the way in which the codes are written, for good</p> <p>10 reasons, it is one size fits all. It doesn't ask me to</p> <p>11 consider those things.</p> <p>12 All I'm saying is, in a forensic situation, you look</p> <p>13 at the physical facts of what has been constructed.</p> <p>14 That's all.</p> <p>15 Q. Let me see if we are an agreement on the following. In</p> <p>16 relation to the partial load factor for the design load,</p> <p>17 the fact that the structure has been built, someone</p> <p>18 could have gone down to site, taken exact measurements</p> <p>19 of various members and then work out the value of the</p> <p>20 exact dead load and enter into the usual calculation.</p> <p>21 Certain degree of risk would have been taken away in</p> <p>22 relation to loading. But one cannot objectively assess</p> <p>23 the extent of reduction of the partial load factors; can</p> <p>24 we agree on that?</p> <p>25 A. No, because there are two limit states we consider. One</p>
Page 162	Page 164
<p>1 and, as a consequence, the stress levels in the</p> <p>2 structure would be even lower than we have given.</p> <p>3 Does that help you?</p> <p>4 Q. Let's see if we can cut short my questioning. Can I ask</p> <p>5 this: do you think, in the present circumstances, the</p> <p>6 fact that Atkins took the partial factor of safety as</p> <p>7 set out in the code was reasonable? I mean the stage 3</p> <p>8 structural assessment.</p> <p>9 A. It's not unreasonable to have done that. I'm saying</p> <p>10 that they could have approached it in a different way,</p> <p>11 but as part of the updated design we had these</p> <p>12 discussions, and some of our suggestions were not taken</p> <p>13 forward into the updated design. My understanding for</p> <p>14 that was that the updated design should be -- let's call</p> <p>15 it a compliance analysis, in the sense that it was</p> <p>16 intended to demonstrate to the clients -- government,</p> <p>17 MTR, et cetera -- that the as-constructed structure was</p> <p>18 indeed satisfying their requirements.</p> <p>19 But if I was doing a thorough -- you know,</p> <p>20 an absolute grass-roots approach on safety and fitness</p> <p>21 for purpose, I most certainly would have reduced the</p> <p>22 dead load coefficient from 1.4 to something more around</p> <p>23 1.25, thereabouts, and that would have been based on</p> <p>24 measurements of dimensions and a justification, and</p> <p>25 I wouldn't have taken full advantage of it all. I would</p>	<p>1 is strength, and therefore, when you carry out the</p> <p>2 strength assessment, it is perfectly reasonable to use</p> <p>3 physically what you observe. The check is that that</p> <p>4 reduced load has then got to be used within the</p> <p>5 serviceability calculations, and if the serviceability</p> <p>6 calculations show that you are not overstressed, then</p> <p>7 everything is okay, you haven't reduced the factors at</p> <p>8 all, because the risk -- risks are all measured from the</p> <p>9 point in time that you view them and, when you start</p> <p>10 with something, your risks are much larger than when you</p> <p>11 are further on into the period. So, therefore, you've</p> <p>12 actually reduced the amount of risk that you were</p> <p>13 exposed to at the outset.</p> <p>14 Q. Yes, precisely. Perhaps I didn't make myself clear.</p> <p>15 Because certain degree of risk cannot be removed</p> <p>16 because --</p> <p>17 A. We can agree on that.</p> <p>18 Q. And when it comes to the partial load factor, we</p> <p>19 appreciate that perhaps some kind of reduction can be</p> <p>20 applied in structural assessment.</p> <p>21 A. Mm-hmm.</p> <p>22 Q. But the point that I'm trying to get your agreement is</p> <p>23 one cannot objectively assess the extent of reduction?</p> <p>24 In other words, we can't precisely point to a particular</p> <p>25 value; instead of 1.4, now we use 1.27 instead of 1.3.</p>

<p>Page 165</p> <p>1 Can you agree with me on that?</p> <p>2 A. We're agreed on a principle, which is the risk profile</p> <p>3 is less.</p> <p>4 Q. Yes.</p> <p>5 A. Okay. So that's good. So that's a qualitative</p> <p>6 statement, it's not a quantitative statement.</p> <p>7 Q. Correct.</p> <p>8 A. You are then saying what is the basis of arriving at</p> <p>9 that quantification; yes?</p> <p>10 Q. I'm saying there is no objective way to determine this,</p> <p>11 to quantify the reduction.</p> <p>12 A. Okay. Well, I would refer you to the partial factors</p> <p>13 that make it up. As I drew attention to in the</p> <p>14 appraisal of structures, for example, it does say that</p> <p>15 the variation could be the difference between 1.15 and</p> <p>16 1.05, and you do that on the basis of your expectation</p> <p>17 of the variation in that load going forward.</p> <p>18 Now, if you go to my 200 millimetre thick slab,</p> <p>19 I would say that's at quite a high risk of being</p> <p>20 exceeded and so therefore I wouldn't be reducing the</p> <p>21 load going forward. But when I'm dealing with something</p> <p>22 which is 3 metres thick, then I would be going for the</p> <p>23 1.05 as the partial factor, not 1.15, and the</p> <p>24 justification would be that's where it is. That's what</p> <p>25 I've -- that's the physical fact.</p>	<p>Page 167</p> <p>1 A. Okay. Let's take them one at a time. We're agreed on</p> <p>2 the risk profile reducing.</p> <p>3 Q. Yes.</p> <p>4 A. That's good. I've now got this structure in front of me</p> <p>5 and I can see it and I can touch it, so I know what the</p> <p>6 dimensions are.</p> <p>7 Q. Yes.</p> <p>8 A. I can look at the geometry of the connections and</p> <p>9 whatever and I've got greater assurance that they are as</p> <p>10 I determined. So, yes, I've got greater confidence.</p> <p>11 But the point I made earlier about the 1.2 factor</p> <p>12 which is in there -- and I'm not sure why you want to</p> <p>13 concentrate on the partial factors anyway, but I'm quite</p> <p>14 happy to talk about it all day if that's necessary --</p> <p>15 but the 1.2 factor that is in there for the sort of</p> <p>16 issues you're discussing or describing is in there for</p> <p>17 the analysis accuracy, but the same figure applies</p> <p>18 whether I was to do it on the back of an envelope or</p> <p>19 I use the very, very sophisticated analysis.</p> <p>20 That's what a code is about. It's a one size fits</p> <p>21 all. It doesn't give me brownie points for rigour. It</p> <p>22 does that.</p> <p>23 All I'm saying to you is -- we can continue with</p> <p>24 this conversation -- I would like really like to get to</p> <p>25 the point you want to make, because otherwise we can</p>
<p>Page 166</p> <p>1 Q. Right.</p> <p>2 A. But I would most certainly look at the serviceability</p> <p>3 stresses. I mean, I think you know this, Mr Chow: when</p> <p>4 the codes were re-drafted back in the early 1970s, they</p> <p>5 were drafted from the working stress basis upwards. So,</p> <p>6 in other words, one didn't want to change the stresses</p> <p>7 at working stress level. So the factors were actually</p> <p>8 back-fixed so you got the same answer.</p> <p>9 So the most important thing in our structures,</p> <p>10 interestingly enough, is the serviceability state. In</p> <p>11 other words, the stresses that the building is under</p> <p>12 now.</p> <p>13 Q. All right. Let's see if we can simplify the matter.</p> <p>14 The point I would like to make is that -- now, we can</p> <p>15 see from the code that the partial safety factor for</p> <p>16 load actually encompasses a number of factors that it's</p> <p>17 supposed to take into account; right?</p> <p>18 A. Mm-hmm.</p> <p>19 Q. Not just one factor which goes to, for example, the</p> <p>20 dimension of the structure in order to determine the</p> <p>21 actual weight of the structure. It encompasses other</p> <p>22 risk factors which includes inaccurate assessment of</p> <p>23 load effects, unforeseen stress redistribution, all</p> <p>24 these factors remain the same, even in</p> <p>25 a post-construction structural assessment?</p>	<p>Page 168</p> <p>1 talk about this for a long, long time. What is it you</p> <p>2 want me to answer?</p> <p>3 Q. The point I've actually made already is that even if</p> <p>4 some risk in association with load, design load, has</p> <p>5 been removed, but it is very difficult to quantify the</p> <p>6 extent of reduction in the factor of safety.</p> <p>7 Can I suggest to you that given the difficulty in</p> <p>8 quantifying the reduction, it would be reasonable for</p> <p>9 Atkins to adopt the same partial factor of safety in</p> <p>10 stage 3 structural assessment?</p> <p>11 A. I've already said that it was reasonable for them to do</p> <p>12 that. You and I agree that the risk profile is less and</p> <p>13 there is a basis for suggesting that that is</p> <p>14 a conservative decision; yes?</p> <p>15 Q. Right.</p> <p>16 A. You and I are not agreed on how we quantify that, but</p> <p>17 I've already expressed how I would have done it.</p> <p>18 So my answer to your question, which very succinctly</p> <p>19 you put that, that's good, I can answer it -- I think</p> <p>20 it's reasonable for Atkins to apply the 1.4 for dead</p> <p>21 load, in that analysis. It's also equally appropriate</p> <p>22 to say that that is a conservative decision, in</p> <p>23 comparison to the situation that was at the design</p> <p>24 stage.</p> <p>25 Q. For the same reason, when it comes to the partial</p>

Page 169

1 material factor -- perhaps we can quickly look at the  
 2 corresponding provision, 2.4.3.1 at page 2843.  
 3 A. Yes.  
 4 Q. Here it sets out what the partial material factors  
 5 accounts for. Again, a number of factors, not just  
 6 single factors. It provides here:  
 7 "For the analysis of sections, the design strength  
 8 for a given material and limit state is derived from the  
 9 characteristic strength divided by gamma m, where  
 10 gamma m is the appropriate partial safety factor given  
 11 in clauses 2.4.3.2 and 2.4.3.3. Gamma m takes account  
 12 of differences between actual and laboratory values,  
 13 local weaknesses and inaccuracies in assessment of the  
 14 resistance of sections."  
 15 Now, again, a number of factors are involved --  
 16 A. Mmm.  
 17 Q. -- and for similar reason that we have discussed earlier  
 18 in relation to the partial load factors, it would be  
 19 reasonable for Atkins to adopt the same partial material  
 20 factors in stage 3 structural assessment?  
 21 A. I would agree with that in this instance. My reference  
 22 to the latitude that we have in Eurocode, it was because  
 23 we could be assured of a higher level of quality  
 24 assurance, and that most certainly isn't the case here.  
 25 So I would actually support 1.5 in this instance.

Page 170

1 Q. Right. Thank you.  
 2 Earlier, you also mentioned about the load and risk  
 3 in association with construction sequence, that sort of  
 4 thing; in a post-construction structural assessment we  
 5 no longer have this risk or uncertainty in relation to  
 6 construction sequence.  
 7 If I then -- you are aware of the updated design;  
 8 right? Under updated design, there is a new set of  
 9 design parameters. As I understand it, when MTRC and  
 10 the government derived this updated design, they have  
 11 already taken into consideration the fact that the  
 12 construction stage has already passed, so the unusual  
 13 loading or more critical loading cases that existed  
 14 during the construction stage have not been considered  
 15 under the updated design. If that is the case, do you  
 16 accept that the uncertainty arising from construction  
 17 sequence and construction stage has already removed and  
 18 actually the effect has been taken into consideration  
 19 when the updated design was agreed between MTRC and the  
 20 government?  
 21 A. Okay. You know that concessions, or let's call them  
 22 concessions, in the updated design were pretty cosmetic.  
 23 Okay? They did not did not take account of what we  
 24 observed as for the soils, for example. The  
 25 recommendation from the -- sorry, I'll take out the word

Page 171

1 "recommendation" -- the observation from the consultants  
 2 was that using E equals 1 N was inappropriate. We  
 3 obviously went further than that on the basis of the  
 4 evidence we had. So that part of the construction was  
 5 not taken into account.  
 6 The other thing is that although some lock-in was  
 7 taken into account, we were very clear that that stage  
 8 of construction should have been considered as  
 9 a serviceability condition.  
 10 I'm not sure if I'm answering your question but what  
 11 I am saying is yes, it was post-construction but the  
 12 updated design principles did not reflect what we had  
 13 learned from construction.  
 14 MR CHOW: Thank you.  
 15 Mr Chairman, I only have one short matter I think  
 16 I can deal with in one or two minutes before we break  
 17 for the day.  
 18 CHAIRMAN: Okay, but we will finish at 1 minute to 5; all  
 19 right? I'm not watching the time, of course.  
 20 MR CHOW: I am keeping the time.  
 21 Dr Glover, in relation to the partial material  
 22 factor, do you agree with me that the factor of safety  
 23 does not account for defects in the concrete?  
 24 A. It takes account of irregularities and variations, but  
 25 if you are referring to things like honeycombing and

Page 172

1 whatever, no, that is an obvious defect and has to be  
 2 put right. The works have to be rectified, reinstated  
 3 actually -- maybe "reinstatement" is a good word because  
 4 it reflects the fact that the structure has to be put  
 5 back to what you assumed it to be.  
 6 Does that answer your question?  
 7 MR CHOW: That answers my question. Thank you very much.  
 8 Mr Chairman, I think this is a good point to stop.  
 9 CHAIRMAN: Good. Thank you very much indeed.  
 10 We leave the matter then until tomorrow morning,  
 11 Dr Glover. You will have to return. Thank you very  
 12 much.  
 13 WITNESS: Thank you.  
 14 CHAIRMAN: Good. Tomorrow morning, 10 am. Thank you.  
 15 (4.56 pm)  
 16 (The hearing adjourned until 10.00 am the following day)  
 17  
 18  
 19  
 20  
 21  
 22  
 23  
 24  
 25

1	INDEX	
2		PAGE
3	DR LAU CHI WANG, JAMES (on former oath) .....	1
4	Cross-examination by MR SHIEH (continued) .....	1
5	Cross-examination by MR BOULDING .....	28
6	Questioning by THE COMMISSIONERS .....	38
7	Re-examination by MR KHAW .....	43
8	(The witness was released) .....	53
9	DR MIKE GLOVER (on former oath) .....	53
10	Examination-in-chief by MR BOULDING .....	53
11	Presentation by DR GLOVER .....	57
12	Examination by MR PENNICOTT .....	131
13	Cross-examination by MR CHOW .....	157
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		